

ILLINOIS ENVIRONMENTAL PROTECTION AGENCY

PUBLIC HEARING IN RE: WATER)
DISCHARGE PERMIT, FUTUREGEN 2.0)
PROJECT, MEREDOSIA, ILLINOIS.)
)

TRANSCRIPT OF PROCEEDINGS had in the
above-entitled matter on the 9th day of October, A.D.
2013, at 7:30 p.m.

BEFORE: Mr. DEAN STUDER, Hearing Officer.

ALSO PRESENT:

MR. MARK LISKA, Permit Engineer, Bureau of Air,
Illinois EPA;
MR. ROBERT G. MOSHER, Manager, Water Quality
Standards Section, Bureau of Water;
MS. STEFANIE DIERS, Legal Counsel, Illinois EPA.

REPORTED BY:

MS. CATHERINE ARMBRUST RAJCAN,
CSR, RMR, RDR, CRR, CCP, CBC.

1 DEAN STUDER: We'll begin in a few minutes. I do
2 want to remind everyone, we have registration out front.
3 If you have not registered for this hearing, we are
4 keeping separate registrations from the prior air hearing
5 earlier this evening and this hearing, certainly.

6 If you have not registered for this hearing and
7 you want to be put on the mailing list, or if you want to
8 make comments this evening, you should register at the
9 registration table in the foyer area.

10 We'll begin promptly at 7:30; and it's two
11 minutes from now.

12 (WHEREUPON, there was a short
13 interruption.)

14 DEAN STUDER: Good evening.

15 My name is Dean Studer, and I'm hearing officer
16 for the Illinois Environmental Protection Agency. On
17 behalf of Director Lisa Bonnett, and Bureau of Water
18 Chief Marcia Willhite, I welcome you to tonight's
19 hearing. My purpose tonight is to ensure that these
20 proceedings run properly, according to rules, and are
21 conducted in a fair, efficient manner. Personally, I
22 will not be responding to specific technical issues
23 related to permits but will defer such issues to the
24 technical staff with me on the hearing panel.

25 This is an informational hearing before the

1 Illinois EPA in a matter of a draft modified National
2 Pollutant Discharge Elimination System, NPDES, permit for
3 Ameren Energy Generating Company's Meredosia Energy
4 Center. The Illinois EPA has made a preliminary
5 determination that the project meets the requirements for
6 obtaining a permit modification and has prepared a draft
7 modified permit for preview.

8 The authority for the Illinois EPA to issue this
9 modified permit is contained in Section 39 of the
10 Illinois Environmental Protection Act, that's 415 ILCS
11 5/39. In pertinent part, this section reads, "it shall
12 be the duty of the Agency to issue such a permit upon
13 proof by the applicant that the facility, equipment,
14 vehicle, vessel, or aircraft will not cause a violation
15 of this Act or of regulations hereunder." The decision
16 by the Agency in this matter will be based upon the
17 technical merits of the application as it relates to
18 compliance with this statute and regulations promulgated
19 under it.

20 The agency decision is not based on how many
21 people desire for the modified permit to be issued or on
22 how many people desire for the modified permit not to be
23 issued, but rather on compliance with the applicable laws
24 and regulations.

25 Issues at the hearing this evening will be

1 limited to the proposed modification. Mark Liska, Permit
2 Engineer at the Agency, will outline these modifications
3 in his opening remarks. Other issues relevant to
4 tonight's hearing include compliance with the
5 requirements of the Clean Water Act and the rules set
6 forth in 35 Illinois Administrative Code, Subtitle C, the
7 anti-degradation analysis, potential to impacts receiving
8 waters from the proposed discharge, and water quality in
9 the receiving waters.

10 I point out that the antidegradation assessment
11 is based on a comparison between wastewater generated
12 from the conventional coal-fired power plant and the
13 effluent from the proposed oxy-combustion Energy Center.

14 This facility is part of a project called
15 FutureGen 2.0, and more information is provided in the
16 public notice for this permit. Illinois EPA will be
17 reviewing air permit applications as well as the proposed
18 NPDES permit modification. A hearing was held earlier
19 this evening on the air permits. Those with air
20 permitting concerns should submit those comments in
21 writing, and I will make those comments part of the air
22 permit hearing record.

23 Current plans are to inject carbon into the
24 ground, currently planned for a location in northeastern
25 Morgan County. This injection, called carbon

1 sequestration, will require an underground injection
2 control, that's UIC, permit from the United States
3 Environmental Protection Agency, Region 5. Illinois EPA
4 will not be addressing issues related to carbon
5 sequestration and UIC permitting. Such issues need to be
6 brought to the attention of US EPA, who has the legal
7 authority to review the UIC permit applications and to
8 issue to the permits for carbon sequestration. For
9 further information regarding the US EPA action, US EPA
10 has created a webpage for the FutureGen project. That
11 website is www.epa.gov/r5water/uic/futuregen/.

12 Those with comments or questions regarding the
13 carbon storage or the UIC permitting process should visit
14 US EPA'S webpage. I also have that address and can give
15 you that web address made available at the registration
16 area as well.

17 The Illinois EPA is holding this hearing for the
18 purpose of accepting comments from the public on the
19 draft modified NPDES permit. This public hearing is
20 being held under the provisions of Illinois EPA's
21 procedures for permit and closure plan hearings which can
22 be found in 35 Illinois Administrative Code, Part 166,
23 Subpart A, and in accordance with the requirements of the
24 Illinois Pollution Control Board NPDES regulations at 35
25 Illinois Administrative Code Sections 309.115 through

1 309.119.

2 Copies of these regulations are available at the
3 Illinois Pollution Control Board website at
4 www.ipcb.state.il.us, or if you do not have easy access
5 to the web, you may contact me, and I will get a copy for
6 you.

7 An informational public hearing means exactly
8 that: This is strictly an informational hearing, an
9 opportunity for you to provide information to the
10 Illinois EPA concerning the permit modification. This is
11 not a contested case hearing.

12 I'd like to explain how tonight's hearing is
13 going to proceed. First, we will have the Illinois EPA
14 panel introduce themselves and provide a sentence or two
15 regarding their involvement in the permit review process.
16 Then permit engineer Mark Liska, from the Division of
17 Water Pollution Control here at Illinois EPA will outline
18 the draft modifications to the permit. Then Bob Mosher
19 from the Standards Unit will be making a very brief
20 statement this evening. Following this, I will provide
21 further instructions as to how statements and comments
22 will be taken during this hearing and as to the
23 appropriate conduct during this hearing. Following these
24 additional instructions, I will allow the applicants an
25 opportunity to make brief opening statements, and then I

1 will allow the public to speak.

2 If you have not signed a registration card at
3 this point, please see either Brad Frost, Barb Lieberoff,
4 or Kurt Neibergall in the registration, and they will
5 provide a card for you. You may indicate on the card
6 that you would like to make oral comments tonight.
7 Everyone completing a card legibly or submitting written
8 comments during the comment period will be notified when
9 the Illinois EPA reaches a final decision in this matter.

10 Illinois EPA expects to have a final decision in
11 this matter sometime before the end of this calendar
12 year.

13 A responsiveness summary will be made available
14 at that time. In the responsiveness summary the Illinois
15 EPA will respond to all relevant and significant
16 questions that were raised at this hearing or submitted
17 to me prior to the close of the comment period.

18 The comment period in this matter will close on
19 November 8th, 2013. If submitting comments by mail,
20 please make sure that they're mailed in sufficient time
21 so that they will be physically received by the Illinois
22 EPA no later than November 8th, 2013. Also, please note
23 that comments should reference Meredosia Energy Center
24 NPDES, or the NPDES number, which is IL0000116.

25 We have two proceedings open for comment for

1 this facility, and it's important that the comments
2 reference the appropriate proceeding to ensure that they
3 are included in the correct files to be considered by
4 Illinois EPA.

5 During tonight's hearing and during the comment
6 period, relevant comments, documents and data will be
7 placed into the hearing record as exhibits. Please send
8 all written documents or data to my attention at Dean
9 Studer, Hearing Officer, regarding Meredosia Energy
10 Center NPDES, Illinois EPA, 1021 North Grand Avenue East,
11 P.O. Box 19276, Springfield, Illinois, 62794-9276. This
12 address is also listed on the public notice for the
13 hearing tonight. Please indicate the NPDES number or
14 reference Meredosia Energy Center NPDES on your comments.
15 And again, I need that to help ensure that they will
16 become part of this hearing record. Again that NPDES
17 number is IL0000116.

18 In addition, email comments may be accepted at
19 epa.publichearingcom@Illinois.gov.

20 All email comments should contain the words
21 "Meredosia Energy Center NPDES" or "IL0000116" in the
22 subject line of the e-mail to help ensure that they are
23 included in the record of this matter.

24 Please make sure that these words are spelled
25 correctly as emails are electronically sorted and

1 distributed and may not make it into the record if the
2 words in the subject line are misspelled.

3 When your email arises, the system should send
4 you an automated reply the e-mail was received before the
5 comment period ends, and the e-mail has been properly
6 sorted and distributed.

7 Please note that the server can become quite
8 busy in the minutes before the record closes, so you may
9 want to take this into account when submitting any
10 comments by email, as electronic comments received at or
11 after the stroke of midnight as the date changes from
12 November 8th to November 9th will not be considered
13 timely filed.

14 I will now ask Illinois EPA panel members to
15 introduce themselves, and then this will be followed by
16 Mark Liska, Permit Engineer, and he will be making a
17 brief presentation on the modifications.

18 BOB MOSHER: Good evening. My name is Bob Mosher,
19 and I'm the manager of the Water Quality Standard Section
20 in the Bureau of Water. And I was the one who reviewed
21 antidegradation assessment for this project and water
22 quality based effluent limits in support of the Permit
23 Engineer.

24 STEFANIE DIERS: Stefanie Diers, legal counsel for
25 the Agency.

1 MARK LISKA: Mark Liska, the Permit Engineer for
2 this permit.

3 Good evening, ladies and gentlemen. Again, I'm
4 Mark Liska, and I'm the IEPA Permit Engineer for the
5 Ameren Meredosia Energy Center, NPDES Permit No.
6 IL0000116.

7 Their current permit is being modified to allow
8 discharges associated with a first-of-its-kind, near-zero
9 emissions coal-fueled power plant which captures and
10 sequesters carbon dioxide emissions.

11 In cooperation with the US Department of Energy
12 and the FutureGen 2.0 partnership, Ameren would shut down
13 Units 1 through 3 and upgrade Electric Generating Unit 4
14 with an oxy-combustion boiler and other technology which
15 would greatly lower both air and water pollution and
16 allow the capture of carbon dioxide emissions.

17 The oxy-combustion boiler combusts coal in a
18 nearly pure oxygen environment to reduce air pollutant
19 emissions and allow for CO₂ capture. While this facility
20 does separate and compress the carbon dioxide from the
21 rest of the air emissions onsite and compresses it and
22 sends it to a pipeline, the actual injection of carbon
23 dioxide into the ground takes place offsite and is not
24 part of this permit. Dean alluded to that previously,
25 that you have to go through the US EPA Region 5.

1 The water discharges left after modifying this
2 permit will consist mainly of cooling tower blowdowns,
3 some oil/water separators, and stormwater.

4 Almost all of the outfalls have changed in this
5 modification. I'll go over the highlights of what's
6 changing here.

7 The plant used to cool itself using once-through
8 cooling from the Illinois River and back to it. It would
9 use nearly 200 million gallons of water a day of
10 once-through cooling.

11 The new configuration uses closed-cycle cooling
12 towers instead of once-through cooling and instead only
13 discharges 10 million gallons per day of blowdown from
14 the towers rather than 200 million from before. The
15 closed-cycle cooling system meets the definition of Best
16 Technology Available in accordance with Part 316(b) of
17 the Clean Water Act.

18 The 200 million gallon discharge from outfall
19 001 is gone, and the only thing left at outfall 001 is
20 noncontact stormwater from the former Units 1 through 3
21 roof drains and some other noncontact stormwater that was
22 previously rerouted to outfall 003. Since everything was
23 either preexisting, was greatly lowered, or has been
24 entirely removed, there is no antidegradation assessment
25 for outfall 001.

1 Outfall 002 is where the main changes have been
2 made. The main Unit 4 cooling tower that previously went
3 to outfall 001 now goes here. The new cooling tower also
4 uses much less water, as was previously said before.

5 The plant now has what's called a direct contact
6 cooler polishing system which is part of their gas
7 quality control system which cleans the air pollution.
8 The water waste stream from that unit is hot and has some
9 suspended solids and metals in it from the air pollution,
10 so a treatment system was built for it to take the solids
11 out of the wastewater, and that treated effluent now
12 discharges to outfall 002. The stream is brand-new so it
13 does have an antidegradation assessment in the fact sheet
14 for it.

15 There are also some new oil/water separators
16 around the new equipment which replaced the old ones, but
17 less runoff is expected around the areas, so they are not
18 subject to an antidegradation analysis.

19 Outfalls 003 and 004 are the bottom and fly ash
20 ponds, which are now called former ponds in the permit.
21 While they do still contain ash from when the plant was
22 previously running as a conventional coal-powered plant,
23 they will no longer receive any new ash as the combusted
24 coal will now be handled dry and put in a landfill. The
25 only discharge from that now comes -- the only discharge

1 that can come from these ponds is stormwater from storm
2 events. There are no longer any process wastewater
3 discharges to these outfalls, only stormwater.

4 These ponds will eventually be capped, but it
5 will still obviously take some time. Since the discharge
6 from these outfalls has significantly decreased due to
7 the dropping of ash, there is no antidegradation
8 assessment to these outfalls.

9 To go over a misconception from the air permit,
10 they had mentioned that there was some wet-ash handling,
11 and their definition of that is different, only in the
12 fact that they consider wet ash just meaning it has some
13 moisture in it. As far as I know, but for -- as far as
14 the water permit goes here, they are not mixing it with
15 any water; all of the ash is handled dry; all of it will
16 be collected and will go to an outside landfill; none of
17 it will be sluiced into any water or into any of these
18 ponds.

19 So I just wanted to make that clear as well.

20 Thank you.

21 DEAN STUDER: And Bob, I believe you had a few brief
22 remarks you wanted to make.

23 BOB MOSHER: Yes. I want to correct a fact that
24 appears in the antidegradation assessment review. This
25 review is provided in the public notice fact sheet. And

1 under the heading "Identification of Proposed Pollutant
2 Load Increases or Potential Impacts on Uses," in the
3 first sentence under that heading I made a mistake, I
4 indicated that there would be a bottom-ash handling water
5 that would be an effluent that would be included in
6 outfall 002. That is not the case.

7 Bottom ash is going to be handled dry. I
8 indicated that fact elsewhere in the antidegradation
9 assessment review, but I -- I had that mistake in that
10 sentence I mentioned that conflicted with my subsequent
11 statement. So cross out bottom-ash handling water from
12 that sentence. That is not the case.

13 DEAN STUDER: Thank you, Bob.

14 As hearing officer, I intend to treat everyone
15 here tonight in a respectful and professional manner. I
16 ask the same respect be shown by the hearing panel and
17 members of the audience. You may disagree with or object
18 to some of the statements and comments made tonight, but
19 this is a public hearing, and everyone has a right to
20 express their comments on this draft permit modification
21 and the issues related to it. Arguing or prolonged
22 dialogue with other members here in attendance will not
23 be permitted this evening.

24 I remind everyone that we have court reporter
25 here making a verbatim record of tonight's hearing. For

1 her sake and in the interest of keeping an accurate
2 transcript of tonight's hearing, I ask that noise levels
3 in the room be kept to a minimum. Consequently, applause
4 and booing, hissing, jeering will also not be allowed
5 during this hearing.

6 I will arrange to have the transcript of this
7 hearing placed on the Illinois EPA webpage where the
8 draft modified permit and hearing notice have been
9 posted. I am hoping to this have posted in two to two
10 and a half weeks, but the actual posting date will depend
11 largely upon when I get the transcript back from the
12 court reporter.

13 Written comments may be submitted to the
14 Illinois EPA at any time within the public comment period
15 which ends on November 8th, 2013. And written comments
16 are given the same consideration as comments that are
17 made orally during this hearing.

18 Tonight is the only time that Illinois EPA will
19 accept oral comments on this draft modified NPDES permit.
20 Any person who wishes to make oral comments tonight may
21 do so as long as time permits and the statements are
22 relevant to the permit modification.

23 If you have lengthy oral comments -- excuse
24 me -- if you have lengthy comments, it will be helpful to
25 submit them to me in writing before the close of the

1 comment period; and I will ensure that they are included
2 this the hearing record as an exhibit. Please keep your
3 comments relevant to the issues involved with this permit
4 modification. If your comments fall outside the scope of
5 this hearing, I may ask you to proceed to your next
6 relevant issue.

7 For the purpose of allowing as many people as
8 possible to make comments this evening, I will initially
9 allow everyone eight minutes to make comments. After
10 everyone has had an opportunity to speak, if time
11 permits, I will allow those who initially did not desire
12 to speak to do so. If time still permits, I may go back
13 to those that initially ran out of time but still have
14 comments to make.

15 I also want to avoid repetition. If anyone
16 before you has already repeated a statement or comment
17 that is contained in your comments, please skip over
18 those issues when you speak. Once a point is made, it
19 makes no difference whether that point is made 99 times,
20 it will be considered on its merit and addressed only
21 once in the responsiveness summary.

22 A similar situation applies when submitting
23 written comments. Illinois EPA is not permitted to
24 take -- to make a decision based on the number of people
25 that either support or oppose this project. Illinois EPA

1 is mandated to issue a permit if the permit applicant
2 complies with the requirements for obtaining one.

3 Issues that are relevant in the Illinois EPA
4 final decision are those directly related to the contents
5 of the permit and the regulations governing the issuance
6 of the permit. Simply stating opposition or support to
7 this project will not impact the Illinois EPA's decision
8 in this matter. Illinois EPA only has the power given to
9 it by the Illinois Environmental Protection Act and by US
10 EPA in reaching a final decision on this permit
11 application.

12 As an environmental organization, Illinois
13 EPA -- excuse me -- Illinois EPA decision-making is
14 limited to those associated with the environmental issues
15 under the purview of the Illinois Environmental
16 Protection Agency. Issues related to global warming or
17 project funding fall outside the purview of Illinois EPA
18 and are not relevant in the NPDES permit modification
19 hearing. Similarly, issues related to air pollution are
20 not relevant in this water permit proceeding.

21 When it's your turn to speak, I will call your
22 name. Please come forward. When I call your name, if
23 you do not desire to speak, or if someone has already
24 said what you intended to say, you may pass, and I will
25 move on to the next person.

1 When behind the microphone, please speak
2 clearly. State your name, and if applicable, any
3 governmental body, organization, or association that you
4 represent. If you are not representing a governmental
5 body, an organization, or an association, you may simply
6 indicate that you are a concerned citizen or a member of
7 the public.

8 For the benefit of the court reporter, I ask
9 that you spell your last name. If there are alternate
10 spellings of your first name, you may also spell the
11 first name if you desire.

12 Comments are to be directed to members of the
13 hearing panel. This will help to ensure that an accurate
14 transcription of your comments is made.

15 Prolonged dialogue with the hearing panel or
16 others in attendance this evening will not be allowed.

17 Are there any questions on how I'll conduct this
18 hearing this evening?

19 Okay. Let the record indicate that no one
20 raised their hand.

21 We have a brief statement that will be made by
22 Steve Whitworth, representing Ameren this evening.

23 STEVE WHITWORTH: Good evening. I'm Steve
24 Whitworth, Director, Environmental Services for Ameren.
25 I sincerely appreciate the opportunity to address the

1 public and the Agency during tonight's hearing.

2 In addition, I'd like to thank the Bureau of
3 Water and especially the staff of the Industrial Permit
4 Unit for their efforts to develop a workable permit that
5 fully addresses all applicable regulatory requirements.

6 This project presents some unique challenges,
7 and the agency has done a commendable job in drafting a
8 permit that takes into account the fact that the
9 FutureGen project is a first-of-its-kind demonstration of
10 new technologies. The FutureGen project will utilize the
11 Meredosia Energy Center to demonstrate a near-zero
12 emissions coal-fired power plant that is integrated with
13 carbon capture and storage. The FutureGen project will
14 showcase utility scale operation of oxy-combustion boiler
15 technology in conjunction with advanced carbon dioxide
16 compression and purification technologies.

17 When the FutureGen project is placed into
18 service, the Meredosia Energy Center will be markedly
19 changed as noticed -- noted in the NPDES permit notice
20 operating permit modification for this facility. The
21 three existing coal-fired electrical generating units
22 will be retired, and the existing oil-fired electrical
23 generating unit will be repowered. Advanced treatment
24 technology will be used for management of coal-combustion
25 byproducts and treatment of generated wastewater. Fly

1 ash and bottom ash will be managed dry and placed in a
2 landfill.

3 As necessary, specific waste streams will be
4 subject to treatment using chemical precipitation and
5 biological treatment to remove metals and nutrients. Key
6 to our wastewater strategy is to reuse water whenever
7 possible to reduce the volume of water withdrawn from the
8 Illinois River and minimize the resultant waste water
9 discharged.

10 The FutureGen project will reduce the total
11 average daily permitted discharge of wastewater from
12 approximately 189 million gallons per day to about 10.6
13 million gallons per day. The existing once-through
14 cooling water discharge will be eliminated, and the
15 intake structure will be configured to comply with the US
16 EPA proposed impingement and entrainment standards. The
17 FutureGen project will not use the existing ash
18 impoundments for coal-combustion byproducts. The
19 FutureGen project has been designed so that wastewater
20 discharges will be fully compliant with the US EPA
21 proposed revisions to the steam electric effluent
22 limitation guidelines.

23 The importance of the FutureGen 2.0 Project is
24 twofold. First, this will be a first-of-its-kind
25 commercial scale demonstration project for capture and

1 sequestration of carbon dioxide using advanced
2 oxy-combustion technology. The intent of the project is
3 to investigate and resolve a number of technical and
4 operational challenges associated with commercial scale
5 carbon dioxide emission reduction. The project will
6 advance technology for carbon dioxide emission reductions
7 in both the United States and the world. A second and
8 more immediately observable project benefit will be the
9 creation of construction jobs and permanent employment
10 opportunities.

11 In summary, the issuance of this permit is a
12 positive and necessary step for the FutureGen 2.0 Project
13 at the Meredosia Energy Center.

14 Thank you for the opportunity to present these
15 comments.

16 DEAN STUDER: Thank you, Mr. Whitworth.

17 Lucinda Low Schwartz.

18 LUCINDA SCHWARTZ: Good evening. Thank you again
19 for the opportunity to speak at today's public hearing.
20 I'm Lucy Schwartz, chief operating officer for the
21 FutureGen Alliance.

22 The Alliance is a consortium of private sector
23 energy companies formed to partner with the Department of
24 Energy on the FutureGen project. The Alliance's interest
25 in this project is to advance the development and

1 demonstration of near-zero emissions -- near-zero
2 emissions coal technology.

3 The FutureGen project is a first-of-its-kind,
4 near-zero emissions coal-fueled power plant that is fully
5 integrated with geologic carbon dioxide capture and
6 storage. As part of the project, a unit in the Meredosia
7 Energy Center will be upgraded with oxy-combustion
8 technology to capture approximately 1.1 million metric
9 tons of CO₂ each year -- more than 90 percent of the
10 plant's carbon emissions. Other pollution emissions and
11 effluents will be reduced to very low levels. Using safe
12 and proven pipeline technology, the CO₂ will be
13 transported by pipeline and stored underground in a
14 storage site in northeastern Morgan County. The project
15 will also include a visitors', research and training
16 center -- the FutureGen Center.

17 With Ameren Energy Resources, the Alliance has
18 submitted an NPDES permit application for construction of
19 the oxy-combustion power plant, the operation of which
20 would involve some discharges into waters of the state of
21 Illinois. The permit application that Illinois EPA
22 Bureau of Water has reviewed, and which is the basis of
23 the draft permit, provides a detailed description of the
24 oxy-combustion process and the expected effluent
25 discharges at the power plant site. The application and

1 the draft permit are available for public review, and I
2 won't attempt to summarize that material at this time.

3 I will briefly note the importance of the
4 FutureGen 2.0 Project to Meredosia, Morgan County, the
5 State of Illinois, the United States, and the world. The
6 FutureGen 2.0 Project in Morgan County will substantially
7 advance clean energy technology and will provide a major
8 economic opportunity for Illinois and local communities.
9 DOE, the State of Illinois, and private sector companies
10 are developing FutureGen 2.0 to help advance a clean
11 energy future.

12 The FutureGen 2.0 Project will bring \$12 billion
13 in overall economic benefits to the State of Illinois
14 according to an independent study conducted by the
15 University of Illinois Regional Economic Applications
16 Laboratory. The study also found that the project will
17 create up to 1610 jobs during peak construction. These
18 jobs will be associated with upgrading the power plant,
19 building the CO₂ pipeline and storage site, as well as
20 constructing the visitor, research and training center.
21 The project will maintain an average of 620 well-paying
22 jobs for the next 20-plus years; and 400 of those jobs
23 will be located in Jacksonville, Morgan County and
24 surrounding counties.

25 The FutureGen Center -- the visitor, research

1 and training facility -- will also be an asset to the
2 community and create an excellent economic development
3 opportunity. Expected to open in 2015, the center's
4 design will employ the use of environmentally sustainable
5 principles. In addition to creating direct local jobs,
6 the center will create spin-off service sector jobs and
7 will also purchase goods and services from local
8 businesses.

9 To conclude, FutureGen 2.0 will prove out the
10 integration of a power plant, CO₂ pipeline, and CO₂
11 storage site. The results will be used to develop
12 additional projects in Illinois and around the world.
13 Carbon capture and storage using oxy-combustion
14 technology have been used at pilot scale; and it is
15 common industrial practice to safely transport CO₂
16 through thousands of miles of pipelines in the
17 United States. DOE has seven pilot demonstration CO₂
18 storage sites throughout the -- around the country,
19 including one in central Illinois. These pilot projects
20 have proven that CO₂ storage can be done safely. The
21 FutureGen 2.0 Project will demonstrate the integration of
22 these technologies at a commercial scale.

23 Lessons learned from the FutureGen 2.0 Project
24 can be replicated at other power plants, fertilizer
25 plants, cement plants, and other industrial facilities

1 that emit CO₂. This technology will be essential to
2 Illinois' economic future.

3 Thank you again for letting me present this
4 information.

5 DEAN STUDER: Thank you, Ms. Schwartz.

6 Traci Barkley will be our first comment --
7 commenter for the public -- I'm sorry.

8 TRACI BARKLEY: Good evening. My name is Traci
9 Barkley; T-r-a-c-i; Barkley is B-a-r-k-l-e-y.

10 I'm a water resource scientist with Prairie
11 Rivers Network. We're the Illinois affiliate for
12 National Wildlife Federation. We work to protect rivers
13 and streams for people, fish, and wildlife and make sure
14 the Clean Water Act and Safe Drinking Water Act are fully
15 implemented and enforced in Illinois.

16 So I would like to recognize that there are some
17 improvements in this permit, including reduced volume of
18 water that will be removed from the Illinois River for
19 cooling, reduced discharges, that there's no more wet ash
20 handling, and reduced air pollution; though I do have a
21 number of questions, and I'm sorry they're a little
22 scattered: we just did the -- were able to -- were able
23 to do the Freedom of Information Act review this
24 afternoon.

25 But I think largely we have some concerns about

1 how this is being handled. It's a state-of-the-art
2 facility, though there are some things that are not state
3 of the art when it comes to handling pollution in
4 relation to water discharges.

5 So I'd like to start first with our concerns for
6 the mussel beds in the Illinois River. It was noted in
7 the antidegradation assessment that a mussel bed was
8 noted by the Illinois Department of Natural Resources
9 across from discharges from the Meredosia facility. And
10 I wondered, one, how recently the DNR had completed the
11 survey in the river. That's one.

12 Or if Ameren had completed its own mussel survey
13 as part of this proposed project.

14 BOB MOSHER: I'm not aware of a survey conducted by
15 Ameren. I don't know when IDNR did their last mussel
16 survey at that site, but I do know that IDNR considered
17 the new discharge and wrote a letter terminating
18 consultation and seems to be of the opinion that the new
19 discharge won't harm the mussel bed. And of course that
20 mussel bed existed during the old discharge, which says
21 something also, I believe.

22 TRACI BARKLEY: So in the permit it looks like there
23 was mixing allowed -- I wasn't clear whether there was
24 allowed mixing or whether there was a mixing zone that
25 had been approved for silver, for thermal loading. And I

1 wonder if you can explain what their mixing zones -- when
2 mixing zones are granted and if allowed mixing is being
3 allowed.

4 BOB MOSHER: There's allowed mixing for silver and
5 for temperature. The temperature, given the cooling
6 towers, the final effluent temperature won't be anything
7 like the ones for cooling temperature. It will be more
8 moderated.

9 And we're granting allowed mixing because at
10 some seasons, at some -- some days it might not meet the
11 water quality standard for temperature, might be a little
12 above that. So we allowed mixing as granted.

13 It's, again, the -- the size of that thermal
14 mixing zone shrinks a lot from the old facility.

15 Silver, allowed mixing, again, is being granted.
16 The predicted silver concentration of the effluent is
17 just 1.6 parts per billion higher than the water quality
18 standard. And there's very little background silver in
19 the Illinois River; so again, allowed mixing was deemed
20 to be appropriate to accommodate that substance in this
21 discharge.

22 TRACI BARKLEY: Can you explain the difference
23 between allowed mixing and a defined mixing --

24 BOB MOSHER: Allowed mixing is a type of mixing
25 allowed by the board's regulations that does not require

1 delineation of the width and length of the mixing zone in
2 the river, because there are many instances, including
3 the two we're talking about now, where it is such a small
4 area that would be involved in the physical mixing that
5 it -- it just doesn't make sense to take the time to
6 delineate the dimension of that mixing.

7 There's, in other words, lots of available
8 mixing. A small amount of that abundance of mixing is
9 being utilized. So allowed mixing gives the Agency the
10 option of recognizing that there's going to be mixing,
11 recognizing that the end-of-pipe concentration or
12 temperature won't meet the water quality standard. But
13 that is going to be a very minor issue.

14 TRACI BARKLEY: So I think the regs prohibit
15 approval of the mixing zone where mussel beds exist. So
16 I wonder how allowed mixing, then, is allowed where
17 mussel beds exist if mixing zones aren't allowed.

18 BOB MOSHER: The -- Illinois Department of Natural
19 Resources indicated that the mussel bed was on the
20 opposite side of the river, and the allowed mixing is
21 going to take just feet from the other bank of the river.
22 So there won't be any impact at all where that mixing
23 zone -- I'm sorry -- where that mussel bed is located.

24 TRACI BARKLEY: So there are a couple other
25 pollutants that we were concerned about. One is

1 sulfates. It looks like there's going to be over 2,000
2 pounds per day of sulfates if allowed to be discharged by
3 this permit, yet there's not a permit limit. And I
4 wondered how that might impact mussel populations with
5 those increased salt concentrations.

6 And then the other thing that was concerning to
7 me is looking at loading of selenium, over -- actually
8 over 11 pounds of selenium will be allowed to be
9 discharged per day.

10 And I understand that Illinois' concentration --
11 that our water quality standard is 20 times weaker than
12 the federal standard, so I'm -- I'm just guessing that
13 the reasonable potential analysis would not show these
14 selenium concentrations would be exceeded. But given
15 that selenium bioaccumulates and builds up in the food
16 chain, and given that that is an important river for
17 aquatic life, for water fowl, fish, for mussels, I wonder
18 if you can speak to what evaluation was done about the 11
19 pounds of selenium that's going to be added each day by
20 this facility.

21 BOB MOSHER: Well, we could start with sulfate. The
22 water quality standard for sulfate's going to be met at
23 end of pipe according to the predictions. And they are
24 going to monitor sulfate even though there's not a permit
25 limit.

1 The sulfate, as it mixes with the Illinois
2 River, is going to get down to near background. The
3 overall increase in concentration in the Illinois River
4 is not going to be measurable, it's not going to be
5 discernible.

6 So there isn't going to be an impact on mussels
7 from sulfate.

8 Selenium, we have to go by the regulations of
9 Illinois, and currently we have a selenium standard that
10 is what it is. And that standard will be met at end of
11 pipe.

12 We have done some recent work with selenium,
13 given that you often mention it, I think -- probably why
14 we're doing some work -- and we looked at fish place
15 concentrations in Illinois, and we're not finding
16 anything of concern. Selenium is a -- a problem in arid
17 areas, it's a problem where there's irrigation return
18 water in those arid areas; and yes, fish and wildlife can
19 accumulate it. But Illinois is blessed with lots of
20 water; what selenium does get discharged is very much
21 diluted. And we have -- as I said in our recent work --
22 demonstrated that there isn't a fish bioaccumulation
23 issue.

24 And the selenium that will come out of this
25 plant is predicted to be, again, very, very minor in

1 relation to this -- the river that's receiving it. And
2 we don't anticipate any undue bioaccumulation or any
3 other effect from the selenium.

4 TRACI BARKLEY: So another time I'm -- another time
5 I'll ask for where the data on selenium was collected
6 from in relation to coal-fire powered plants and
7 coal-mining facilities.

8 BOB MOSHER: Okay. That's a deal.

9 TRACI BARKLEY: I don't know how much -- I have a
10 number of questions.

11 Do you want me to keep going, or -- I want to
12 let other people have a chance.

13 DEAN STUDER: Okay. Yeah, we'll come back. We've
14 gone about nine minutes.

15 TRACI BARKLEY: All right. Thank you.

16 DEAN STUDER: Cindy Skrukrud.

17 CINDY SKRUKRUD: Good evening. My name is Cindy
18 Skrukrud; C-i-n-d-y, S-k-r-u-k-r-u-d. I'm a clean water
19 advocate for the Illinois Chapter of the Sierra Club.

20 And few FutureGen's plans for this power plant
21 are being billed as near -- a near-zero emissions plant.
22 And as I'll discuss further in detail, I'm concerned that
23 the proposed discharges to the Illinois River do not
24 reflect the attention paid to the air pollution from this
25 plant.

1 If this is truly to be a state-of-the-art
2 facility, then Ameren and FutureGen should be doing --
3 should be using the latest and best technologies to also
4 reduce pollution to the Illinois River. And I -- in
5 terms of organizing my questions, I'm just going to go --
6 walk through first the fact sheet and then the permit.

7 And so I have a question on Page 2 of the fact
8 sheet, outfall 002. There's total nitrogen monitoring
9 required there.

10 I was wondering is this facility going to be
11 doing biological nutrient removal?

12 I saw a reference I believe in the
13 antidegradation assessment that talks about adding carbon
14 to facilitate denitrification.

15 BOB MOSHER: Your question refers to the
16 antidegradation assessment review?

17 CINDY SKRUKRUD: I'm asking why are you requiring
18 total nitrogen monitoring. That's one question.

19 And two, is there -- is there biological
20 nutrient removal going on, is there denitrification
21 planned at this plant?

22 MARK LISKA: There's total nitrogen monitoring,
23 there's -- US EPA Region 5 is starting to have us put
24 that in all the major NPDES permits. Just kind of some
25 background checking, they just want to collect some data

1 on it.

2 So you will actually be seeing them just about
3 every major permit starting probably with this last round
4 of permit -- major permit renewals. So that's the reason
5 it's in there.

6 I will have to get back to you on the
7 responsiveness summary about the denitrification. There
8 are a couple of different ways -- couple -- couple of
9 different water treatment plants in this, and I can't --
10 I don't recall denitrification in this. But I'm not 100
11 percent sure.

12 CINDY SKRUKRUD: Okay. Yeah, I brought it up
13 because I saw that the carbon was being added to
14 facilitate denitrification.

15 And then again, looking at outfall 002, Bob, you
16 just answered Traci's question, you said there would
17 be -- that there would be -- there wasn't going to be a
18 limit on sulfate but there would be sulfate monitoring.

19 And I don't see sulfate monitoring listed for
20 outfall 002 either on the fact sheet or in the draft
21 permit.

22 Am I missing something?

23 BOB MOSHER: You got -- ah...I recommended that
24 sulfate monitoring be put in there.

25 Mark, did you put it in there?

1 MARK LISKA: Uhm...nope. I thought it was in
2 Special Condition 16, but it's not. We will be sure to
3 put that in there.

4 CINDY SKRUKRUD: Great. Then moving on to Page 3 of
5 the fact sheet, and then also then I'm -- I have a
6 question on -- I have a question about outflow B02
7 related to the description of the new DC -- DCCPS
8 wastewater treatment stream.

9 It says that -- on Page 4 of the fact sheet,
10 that it will have -- the wastewater will have some
11 suspended solids and metals in it.

12 And so my question is: What metals are in that
13 waste stream?

14 Besides the chromium and zinc that I -- well --
15 I see chromium and zinc limits here. I just wondered
16 what other metals are in that waste stream.

17 MARK LISKA: Chromium and zinc limits are in there
18 because they're required in 40 CFR123.15. Whether there
19 is or isn't chromium or zinc in the discharge, it's still
20 required by the federal regs.

21 I don't have with me the exact breakdown to B01.
22 It's in their application. It will be -- most of the
23 metals that are in -- listed in Special Condition 16. So
24 we're monitoring for there. But we have run -- Bob's run
25 water quality analysis, and we've run analysis on the

1 metals. And they are not going -- they will be met at
2 end of pipe. Most of it will be extremely small and be
3 met at end of pipe with -- met at end of pipe by a factor
4 of 10 or more, even 100 or more.

5 So we -- that's why we don't have any other
6 limits in the permit for metals. But we do have --
7 tested for in Special Condition 16.

8 CINDY SKRUKRUD: Okay. Then down at the bottom of
9 Page 3 of the fact sheet, where it's describing the load
10 limit calculations for outfall 002, I see copper listed
11 there, but it's not listed -- it's not listed as being
12 either monitored or limited at outfall 002.

13 So I wondered was that an oversight, or should
14 copper be... included in -- should it be limited at
15 002 -- I mean -- yes, at 002?

16 MARK LISKA: I believe that's an oversight from the
17 previous permit. I think -- yeah, the previous permit
18 had copper; and I think when I was initially writing the
19 permit, I put it in there, and then the antideg and the
20 water quality analysis showed it wasn't going to -- it
21 met water quality limits by a large factor, so it was
22 removed. But missed it in that spot there.

23 CINDY SKRUKRUD: Okay. Okay. So then moving on to
24 Page 4, I had a question in the paragraph that talks
25 about the cooling intake structure. One, I had a

1 question was there still going to be issues with
2 impingement and entrainment there. And when
3 Mr. Whitworth just spoke, he had stated that the facility
4 would follow the latest guidelines regarding impingement
5 and entrainment.

6 And I wonder, does that then need to be -- I
7 don't see that reflected in the permit.

8 MARK LISKA: If you give me one moment.

9 CINDY SKRUKRUD: Actually -- actually -- maybe this
10 is a good time to ask this.

11 On Page 5 of the draft permit there's Special
12 Condition 10 and Special Condition 11. And they seem a
13 bit redundant because they both are discussing how the
14 facility will satisfy Section 316B.

15 Maybe it's not redundant because it now sounds
16 to me like there are still concerns about impingement and
17 entrainment.

18 MARK LISKA: Well, specifically -- Special Condition
19 10 just notes their 1981, 316B demonstration. Special
20 Condition 11 notes that because they're using closed
21 cycle cooling that is considered BTA, best technology
22 available, in accordance with 316, 316B.

23 Again, as we noted, their total intake is going
24 to be 1/20th of what they used to -- used to have.
25 They're going from almost 200 million gallons down to

1 just 10. That alone is going to lower impingement by a
2 huge deal.

3 DEAN STUDER: We also have used your time limit.

4 What I will do is if you have a -- a question or
5 two you have to still relate to this, to go ahead and ask
6 those, and we'll address those; and then I'll keep your
7 card up here and we'll come back to you, Cindy. I just
8 want to make sure that we get everyone in the room that
9 has comments to make, that opportunity. And then we'll
10 come back and finish --

11 CINDY SKRUKRUD: Okay. Well, I had -- I just -- I
12 had one more question. I had asked a question about the
13 DCCPS wastewater, you know, that it says it has suspended
14 solids and metals in it. But I had a -- then in your
15 opening clarification, I think you were responding to a
16 question I had asked at the air hearing -- I just -- I
17 wanted to understand what's the source of the .307
18 million gallons per day, what's the source of water from
19 the DCCPS?

20 You said it wasn't going to be sluiced; but
21 where's the water coming from?

22 MARK LISKA: Okay. Okay. Part of the DCCPS is a
23 cooling tower. I had mentioned that that was a hot
24 stream. So the source of that water is I believe
25 wells -- it's either wells or from the Illinois River --

1 that will run a cooling tower.

2 This stream will actually go through a cooling
3 tower to, you know, get rid of the heat prior to then
4 going to a treatment plant that will settle out the
5 metals and suspended solids. It's not anything -- there
6 is no -- none of the coal ash or anything has anything to
7 do with that discharge. It's -- the water is coming from
8 the cooling tower only. It's -- it's more contact
9 cooling water than noncontact cooling water, because it
10 is cooling the water that has some of the suspended
11 solids that they were taking out from the air side. But
12 it doesn't have any coal ash or any of the other -- any
13 of the other stuff you mentioned in it.

14 CINDY SKRUKRUD: It will have sulfate. That's where
15 the additional sulfate is coming from.

16 MARK LISKA: Uhm...I believe some of that sulfate,
17 yes. I'm not -- I don't have the exact consistencies of
18 all the internal outfalls on hand right now. I can give
19 you that information later in the -- in our report later.

20 CINDY SKRUKRUD: Okay. I may have more questions on
21 that later.

22 MARK LISKA: Sure.

23 DEAN STUDER: I'll keep your card up here, and we'll
24 come back.

25 Danny Little.

1 DANNY LITTLE: In the interest of time and --
2 I'll --

3 DEAN STUDER: You'll pass?

4 DANNY LITTLE: Yeah.

5 DEAN STUDER: Okay. Elizabeth Niemann.

6 ELIZABETH NIEMANN: Niemann.

7 Now that we have a counsel here -- my name is
8 Elizabeth Niemann, N-i-e-m-a-n-n -- I'm going to reask
9 this question from the previous one concerning Illinois
10 Public Act -- can you hear me -- 9716 which reads Section
11 40 -- this is from an Illinois Public Act.

12 Permitting, the State of Illinois shall -- not
13 using the word "will" -- shall issue to the operator all
14 necessary and appropriate permits consistent with the
15 state, federal and corresponding regulation. The State
16 of Illinois must allow the operator to combine
17 applications when appropriate, and the State of Illinois
18 must otherwise streamline the application process for a
19 timely permit issuance.

20 Does this mean that the Illinois EPA, as
21 representative of the State of Illinois, is mandated by
22 the above section to grant all necessary permits, no
23 matter what?

24 STEPHANIE DIERS: Is that out of the Illinois EPA
25 Act?

1 ELIZABETH NIEMANN: No, it is not. This is an
2 Illinois Public Act. This is on the Clean Coal Act.
3 This is Section 40.

4 STEFANIE DIERS: I'm not sure what reference you're
5 referring to because we look at Section 39 of the
6 Illinois Protection Act that tells us how we issue our
7 permits. And if they're meeting our state regulations
8 and the Clean Air Act, we're going to issue the permit
9 based on the regulatory language.

10 That Act you're referring to, I'm not sure what
11 it is, but we can answer it in the responsiveness
12 summary, because I don't know.

13 ELIZABETH NIEMANN: Okay. You might want to take a
14 look at that.

15 And then I have a question -- and this may be
16 overlapping into air.

17 I find it rather unsettling that under the water
18 permit all the cooling tower chemicals are listed. And
19 if you've ever been around a cooling tower, things can go
20 wrong, and some of these chemicals can be discharged to
21 the air.

22 So I would like to -- I will address these in
23 written comments, but I do feel that some of these
24 chemicals are very, very bad as an air pollutant. And
25 those were not addressed.

1 Thank you.

2 DEAN STUDER: Yes. You address those in writing in
3 the air, we'll address them in that proceeding.

4 Terry -- Terry Denison.

5 TERRY DENISON: Good evening.

6 Raise this up a little bit.

7 Good evening. My name is Terry Denison; Terry,
8 T-e-r-r-y, D-e-n-i-s-o-n. I'm president of the
9 Jacksonville Regional Economic Development Corporation,
10 and we service Morgan and Scott County, of which
11 Meredosia is a part of Morgan County.

12 I'm going to be very brief, but I'm going to
13 talk about -- a little bit about the economic impact.

14 Miss Schwartz just mentioned a moment ago about
15 an economic impact study that was done by the University
16 of Illinois. It is a very positive report, it's a very
17 good report for our whole region, and in fact for, as she
18 mentioned, for the whole state of Illinois.

19 It's going to impact both wages, salaries, jobs,
20 and taxes.

21 And one of the things just to mention on the
22 taxes is the -- this power plant used to be a -- used to
23 be an Ameren plant, and they were -- they paid, of
24 course, real estate taxes. And with the closure of the
25 plant, there was concern in the community about --

1 particularly about the school system, the building of
2 which we're in, where that would come from.

3 And FutureGen, with keeping it open and keeping
4 the maintenance on it, has continued to pay the real
5 estate taxes. So it's been a big asset for the area and
6 particularly for the local community.

7 So with the combination of those factors,
8 FutureGen is very important to our area, it is a very
9 good thing. As mentioned in the -- earlier, over close
10 to 60 percent of the power in rural America is powered or
11 created through coal. And so coal is very important
12 to -- to rural America. And we're very much a community
13 in favor of it.

14 I have a 30-member board, and we very much
15 support FutureGen and its efforts. And we support them
16 and encourage you to issue the permit.

17 Thank you.

18 DEAN STUDER: Thank you, Mr. Denison.

19 Is there anyone who has not spoken in the water
20 proceeding this hearing that would like to make comments
21 on the record?

22 Okay. Let the record indicate that no one
23 raised their hand.

24 We have, I believe, two people that have spoken
25 that have additional comments or questions.

1 I will go ahead and call those first, and
2 following those two, I will ask if we have anyone else,
3 if time allows.

4 Traci Barkley was the first -- is the first.

5 TRACI BARKLEY: Traci Barkley, Prairie State
6 Network.

7 I'll try to get close.

8 So I see this is a re -- it's a modification of
9 a previous permit that was issued to Ameren Energy. And
10 going through the file I noticed that there were a few
11 previous waste streams and discharges, for example from
12 003 and 004, that were not included in this permit. And
13 the language that was used was that they were not
14 associated with FutureGen.

15 So I -- and that was ash pond discharges, which
16 I understand they're not going to be used anymore. But I
17 wondered how -- well, one if the permit area is the same
18 from the previous permit to now with the -- issued to
19 this FutureGen project.

20 And what will happen with -- with some of those
21 outfalls that are not being claimed by FutureGen but
22 still are concerned to receiving waters?

23 MARK LISKA: Could you -- was there any -- is there
24 any stream in particular 003 or 004 that was previous
25 that's not on there now?

1 TRACI BARKLEY: I guess it's more of a general
2 question of is FutureGen assuming liability for
3 everything within the permit area that was previous --
4 previously Ameren energy; or is there some sort of split
5 so that Ameren Energy still has responsibilities on site,
6 and FutureGen doesn't?

7 Because at least -- you know, I saw in a
8 couple -- and I will have to go back in my written
9 comments, but there are a couple of times where there
10 were outfalls that were previously associated with
11 Ameren's operation that are not associated with
12 FutureGen; but in terms of stormwater runoff or let's say
13 the bottom ash pond or the fly ash pond, those -- those
14 waste disposal areas still exist, still with the rates
15 that are going to be attributed to some -- some loading
16 to the old -- I'm trying to give you something concrete
17 to respond to.

18 But the big question is: Is FutureGen through
19 this permit assuming liability and responsibility for
20 everything that happened in that activity area?

21 MARK LISKA: Well, we'll have to answer that in the
22 responsiveness summary.

23 TRACI BARKLEY: Okay. Because I would like to note
24 that there have been ground water -- for some of the
25 ground water wells that are onsite there have been ground

1 water quality for -- exceedances of ground water quality
2 standards for antimony, arsenic, boron, chromium, and
3 thallium. And in February of this year 2013 there was a
4 notice of intent to pursue legal action at least written;
5 and I wasn't clear whether it was actually ever issued,
6 but that was for exceedances of ground water standards
7 for pH, boron, manganese, arsenic and iron.

8 So I guess one question is: Agency.

9 Was there a violation notice issued by Illinois
10 EPA to Ameren for those ground water quality exceedances?

11 MARK LISKA: I don't know anything of those other
12 legal matters. We'll have to answer that in the
13 responsiveness summary.

14 TRACI BARKLEY: Okay. Then another question I
15 would -- if the answer is yes, that was issued, then the
16 question would follow, has that case been referred to the
17 attorney general?

18 And has a compliance commitment agreement been
19 agreed upon between Ameren and the Agency?

20 MARK LISKA: We'll have to answer that in the
21 responsiveness summary.

22 TRACI BARKLEY: And then the final question on that
23 line is how does -- if this operation is taken over by a
24 joint partnership between the FutureGen Alliance and
25 Ameren Energy, who's ultimately responsible and who will

1 be dealing with this legal action in the future?

2 MARK LISKA: We'll need to answer that in the
3 responsiveness summary.

4 TRACI BARKLEY: Another question has to do with
5 previous operations. So I understand that PCBs were
6 being generated onsite with the previous operation under
7 Ameren, and I wondered -- I didn't see anything in the
8 permit that had to do with either limits for PCBs or
9 monitoring for PCBs.

10 So I wondered if those -- if there's still
11 concern that they exist onsite, and if there's potential
12 for those to be discharged into the Illinois River. And
13 the reason I ask is because the Illinois River is listed
14 as being impaired for PCBs right now.

15 MARK LISKA: I believe federal law requires that
16 there be no discharge of PCBs.

17 TRACI BARKLEY: So is the stormwater pollution
18 prevention plan being required by this permit to
19 minimize -- to -- when required best practices onsite to
20 minimize the chance that any pollutant like that is
21 discharged into Illinois River?

22 MARK LISKA: Any stormwater pollution prevention
23 plan would have to minimize all impacts. It would have
24 to include that.

25 TRACI BARKLEY: Is there one that's already

1 developed for this facility, and is it required by this
2 permit?

3 MARK LISKA: We have a -- let me find the condition
4 number -- Special Condition 15 says we have BAT, BCT,
5 that's best available -- I forget what that stands for.
6 But pretty much they treat all of their stormwater that's
7 outfall 001 -- actually, that's noncontact. But
8 everything in 002 and 003 and 004 of course, that's all
9 treated stormwater, which constitutes -- so those have
10 effluent limitations associated with them. And we
11 consider that being the most...

12 TRACI BARKLEY: My read of this is no pollution
13 prevention plan will be required for such stormwater. So
14 if that's the case, then there isn't any prescribed plan,
15 either developed by the Agency or by Ameren or by
16 FutureGen that what practices they'll take to minimize
17 pollution, because the Agency's determined that the
18 effluent limits in this permit constitute the BAT, ACT.

19 So I just wonder how this commission protects
20 against discharges of PCBs or other pollutants that don't
21 have effluent limits in the permit.

22 MARK LISKA: Okay. Their stormwater is all treated,
23 so we give them the -- ACT/BCT because since they have
24 limits on all these things, that is considered more
25 stringent than simply having a stormwater pollution

1 prevention plan. We are giving them the more stringent
2 of those two options.

3 TRACI BARKLEY: Okay. I guess I'd like to
4 respectfully ask for the stormwater prevention be
5 prepared by Ameren, required by the permit, and that
6 monitoring for PCBs be put in the permit considering that
7 the river is already impaired and they were just a few
8 years ago generating PCBs on site.

9 MARK LISKA: Thank you for your comment on that.

10 TRACI BARKLEY: Then I wonder where the coal will be
11 coming from. The reason I ask is because there's a
12 difference in the quality of the coal, the pollutants
13 that are associated with Powder River Basin coal versus
14 Illinois River coal. And I wonder in the evaluation of
15 what is expected to be in the discharges from this site,
16 were you looking at -- what type of coal were you looking
17 at?

18 Is there an opportunity for the Energy Center to
19 change the type of coal they're burning; and if they do,
20 are they required to have it reworked through the Agency,
21 or are they required to let you know that they're
22 changing the quality of their coal?

23 How does that work?

24 MARK LISKA: I don't have that information with me
25 exactly what they're using. I'll have to get back to you

1 in the responsiveness summary on that.

2 TRACI BARKLEY: I just have a few more comments.

3 One, given that we have multiple coal ash
4 contamination sites throughout Illinois, and we're glad
5 the water's not going to be used anymore to transport
6 coal ash and to store coal ash in wet impoundments, but
7 with dry ash handling comes fugitive dust.

8 And I just wondered was that considered by the
9 Agency when you were looking at what was going to be
10 settling and possibly being stormwater discharges. And
11 what -- what practices are going to be employed at the
12 site to reduce fugitive dust on that center and also
13 leaving the center for area residents.

14 MARK LISKA: We think that's an air issue that they
15 have to deal with. We don't think it's an NPDES permit
16 issue. We'll have to get back to you on that.

17 TRACI BARKLEY: We can ask that question --

18 MARK LISKA: Maybe send the comment too. We still
19 have time.

20 TRACI BARKLEY: I would suggest it's also a NPDES
21 issue, because when you have dust in the air, it is
22 settling on the ground. I mean, that's something
23 considered at coal mines where coal is stored, and
24 certainly at this site there will be coal stored and ash
25 for some time period.

1 So I think that is an important part of what's
2 going to be settling onsite and running off.

3 But that leads me to my next question, which is
4 I understand that the ash is being handled in a dry
5 manner and that it will be taken to an offsite disposal
6 location. But I don't see anything in the permit that
7 references temporary coal ash storage facilities or how
8 they will be transported, or any monitoring of coal ash
9 pollutants.

10 So I just wondered what the plan is; you know,
11 if -- if the coal ash is going to be collected from the
12 boiler and immediately taken over to the offsite
13 landfill, or if there's going to be temporary storage
14 spot. And if so, then that seems like that needs
15 consideration for stormwater runoff as well.

16 MARK LISKA: C02 is coal handling contact
17 stormwater. And they do have treatment for any
18 stormwater that goes through that stream.

19 TRACI BARKLEY: 002?

20 MARK LISKA: C02. That's the internal -- ultimately
21 going to 002.

22 TRACI BARKLEY: So the coal-handling contact
23 stormwater is all -- is coal and coal ash stormwater?

24 MARK LISKA: I don't think the coal ash is part of
25 that. I'll have to get back to you on that.

1 TRACI BARKLEY: Okay. Then the DCCPS system, from a
2 letter from Ameren to the Agency, it was noted that the
3 concentration of the wastewater pollutants in DCCPS would
4 be closer to 4,000 milligrams per liter, but they were
5 agreeing that the 1678 water quality standard for sulfate
6 would still be able to be met in the pipe.

7 And I just wonder what the plan is, if it's
8 going to be blending of that waste stream with another
9 waste stream so they can dilute that sulfate
10 concentration down, or how they're going to get from
11 4,000 on average down to 1678 that is the standard in
12 place.

13 MARK LISKA: All of those internal outfalls, A02,
14 B02, C02 and D02, those all go to outfall 002. That's
15 why they're all numbered with an 02 at the end. But
16 those are just all internal outfalls to -- because of
17 regulations, federal regulations or other regulations,
18 they do have to have some testing prior to being -- prior
19 to mixing together and going -- and ultimately
20 discharging to 002.

21 TRACI BARKLEY: So I understand that there was a
22 mixup and the sulfate monitoring report wasn't put in the
23 permit; but when I look at 0 -- when I look at what's
24 coming from the DCCPS system, that seems like it's going
25 to be a majority of what's coming out of 002. And that

1 that's going to be constantly streaming. And what that
2 is going to be blended with is an emergency outflow --
3 emergency overflow which is going to be intermittent.
4 Coal handling contact stormwater which requires actual
5 rainfall for that stormwater develop -- which in large
6 part is not actually going to be the case.

7 And if you go to D02, that's also effluent
8 discharge. So I think it -- I guess I'd like to see a
9 reevaluation of whether the sulfate standard can actually
10 be met. You're starting at 4,000 with a major waste
11 stream, and they have to get all the way down to 1678;
12 and you're relying on pretty small intermittent
13 discharges to dilute that down on a daily basis. That --
14 that doesn't add up.

15 MARK LISKA: You said that the majority comes from
16 B02?

17 Is that what you said; or C02?

18 TRACI BARKLEY: Well, seems like the majority of
19 that 002 outfall is coming from B02.

20 MARK LISKA: It's not. B02 is 0.32 million gallons
21 per day. The majority is the actual main cooling tower.
22 That's .032 out of 9.78. That's -- it's actually going
23 to be diluted by whatever .32 by 978 -- 30 or 40 times.

24 TRACI BARKLEY: Got it.

25 MARK LISKA: Got it.

1 TRACI BARKLEY: Thank you. Then I think my last
2 question has to do -- there was mention of biological
3 treatment being used on the waste treatment for the DCCPS
4 for mercury, nitrates as selenium. I was curious what
5 biological treatment was going to be used.

6 MARK LISKA: I can't recall exactly what it is.
7 I'll have to get back to you -- I mean, in the
8 responsiveness summary.

9 TRACI BARKLEY: Okay. And then one more question.
10 Just when -- what do you anticipate the permit cycle
11 looking like for the coal ash landfill, and will there be
12 a public process for that?

13 For the dry ash, it's going to be generated at
14 the site, going to be taken offsite and disposed of in
15 landfill.

16 Will there be any permit issued; will there be a
17 way for residents to participate in that public process?

18 MARK LISKA: We'll have to answer that in our
19 responsiveness summary.

20 TRACI BARKLEY: Okay. Thank you.

21 DEAN STUDER: Thank you, Traci.

22 Cindy, did you have additional questions or
23 comments?

24 CINDY SKRUKRUD: Yes, I do. But the remaining
25 questions I have all have to do with antidegradation

1 assessment.

2 So I wanted to ask some questions about the
3 sections of the antidegradation assessment that include
4 the identification of the proposed pollutant load
5 increases and the section assessment of alternatives for
6 less increase in loading or minimal environmental
7 degradation.

8 So in the identification of proposed pollutant
9 load increases, it stated that the pollutants that was --
10 quote, pollutants that will see an overall increase in
11 loading are sulfates and phosphorous. The source of the
12 additional sulfate is mainly the DCCPS. The source of
13 additional phosphorus is mainly from the anticorrosion
14 additives to the DCCPS and CPU.

15 Then when I turn to the assessment of
16 alternatives, I don't see any assessment for ways to
17 minimize sulfate and phosphorous loadings.

18 So I'm concerned, because typically, you know --
19 typically there's -- when we see these antidegradation
20 assessments, there's a list of the alternatives that have
21 been considered. So that leads me to be a bit concerned
22 that this permit's been rushed a bit. And when you tell
23 me you're going to have a decision back by the end of the
24 year, then it sounds to me like you guys are rushing.

25 So I -- I wanted to talk a bit about some

1 alternatives that I think should be considered. For one,
2 I wondered with regards to phosphorus, it's stated that
3 phosphorous is being added as an anticorrosion agent. So
4 what other -- were there other anticorrosion measures
5 considered?

6 Second -- okay. Bob's got an answer.

7 BOB MOSHER: The search for anticorrosion additives
8 for industrial piping systems goes on to -- you know, we
9 went from the days of zinc or chrome being used for that
10 purpose, and we said, no, can't do that. We don't want
11 all that heavy metal going out to the river.

12 Along came phosphorus to replace those metals.
13 And no one likes phosphorous either, much.

14 And we asked -- we talked to the companies that
15 are in the business of coming up with those treatment
16 additives; and you know, do you have anything that
17 doesn't have heavy metals or phosphorus?

18 And several years ago they said, well, we're
19 working on it. And so far we have not gotten to the
20 point where there -- there is a product that -- that I
21 know of. So phosphorus is the lesser of two evils. And
22 it's -- it has to be used: They can't let their system
23 corrode.

24 So we're -- we're stuck with phosphorus for the
25 time being.

1 CINDY SKRUKRUD: So given that, there's -- this
2 permit has a one milligram per liter phosphorus limit in
3 it. But as you're well aware, the facilities throughout
4 the state are being asked to do more to remove phosphorus
5 from their effluents, because we as a state are trying to
6 not have dissolved oxygen problems in our streams, or
7 trying to reduce algae growth, or trying to help reduce
8 our nutrient loading to the Gulf of Mexico, where it's
9 creating big problems, big dead zone in the Gulf of
10 Mexico.

11 So I know that we are asking other facilities
12 throughout the state to look at -- at reducing their
13 phosphorus down, not to 1 milligram per liter, but down
14 to .5 milligram the per even -- milligram per liter .1
15 milligrams per liter.

16 So I think that's another consideration for this
17 facility that's going to be a state-of-the-art facility,
18 is to -- to -- to use those techniques to -- I know
19 they're adding the phosphorus, but then to remove it
20 before they discharge to the Illinois River.

21 I wanted to ask what phosphorus-removal method
22 is -- is being used at this -- is proposed to be used at
23 this facility.

24 MARK LISKA: That is listed in the alternatives to
25 being treated by chemical precipitation and biological

1 treatment to reduce. And that's generally what's done in
2 other places that discharge phosphorus, usually municipal
3 plants. So they are treating for it.

4 If I recall from -- maybe Bob can remember
5 better, but the limit in there is 1 milligram per liter
6 because that's what the state law is for industrial. But
7 the actual amount that we're calculating is going to be
8 far below that. I want to say it's going to be around .3
9 or less. And that's even before treatment.

10 But we still have to put that 1 milligram per
11 liter limit in it because the statute -- the industrial
12 statute, anyway -- where is it -- 35 IAC 304.123(g)(2)
13 states that we have to use the 1 milligram per liter if
14 they have the potential to discharge more than 25 pounds
15 per day.

16 CINDY SKRUKRUD: I agree with that, but I would also
17 say under antidegradation you can certainly put in a more
18 stringent limit than 1. Certainly -- we certainly have
19 examples of maps in the state that have limits of .8; and
20 as I said, there's plants that are now being asked to
21 look at the -- those levels down to a limit of .5, even
22 .1.

23 So again, I -- not to repeat myself, but this is
24 going to be a state-of-the-art facility; we should be --
25 we should be state of the art in terms of reducing our

1 phosphorus loading to the Illinois River.

2 I wanted to ask also about -- about the sulfate
3 discharges. You know, what measures have been considered
4 to minimize the sulfate discharges from this facility. I
5 didn't see any consideration of alternatives.

6 BOB MOSHER: Well, this is a type of facility that
7 we have not encountered before in the -- you know,
8 unique. We are given the predictions from FutureGen, we
9 have the discharge such that it's meeting water quality
10 standards for all but two parameters, and then really
11 very low levels above water quality standards even for
12 those.

13 Knowing how low can you go with something
14 that's -- that's brand-new is very difficult. We've
15 impressed upon FutureGen all along that, you know, your
16 goal is to -- to do the best job you can. You know, I'm
17 sure they're aware of that by now.

18 And I don't think we've got that experience yet.
19 We can gain it when we look at monitoring, when FutureGen
20 has a better feel for how the plant will operate. But
21 to -- to pick out one parameter and say, well, we're just
22 not, you know, happy with sulfate, we don't have a basis
23 for telling them at this point, you can do better.

24 It's -- there's a comfort factor in that, in
25 that they will meet the water quality standard at end of

1 pipe.

2 MARK LISKA: Just to add something to that. They're
3 not just creating the sulfate and other constituents,
4 they're just not creating them and then dumping them.
5 B02 to BCCPS, it does have a completely separate
6 wastewater treatment system just for that discharge.
7 That knocks out most of it.

8 For C02, the coal handling, they do have a
9 completely separate wastewater treatment system.

10 Again, listed in the alternatives, chemical
11 participation, biological treatment. There's a couple
12 other things that knock out the suspended solids, knock
13 out as much of the sulfate as they can. They are using
14 good treatment for these things.

15 So they're not just -- they're just not dumped
16 and discharged. They are treating for them and getting
17 out as much as they can prior to discharge.

18 CINDY SKRUKRUD: So there's -- what percentage of
19 the sulfate is going -- how does this -- what happens to
20 that other sulfate that they remove?

21 Where does...they're removing it in the
22 treatment process, and where -- if it's not being
23 discharged; then where is it going?

24 I just wonder if you have a sense -- if you know
25 how much of the sulfate that's captured on the site is

1 being removed by the treatment methods.

2 MARK LISKA: I don't have any exact percentages on
3 the -- on the internal streams with me. I'll have to get
4 back to you on that.

5 Most of the time something is -- gets
6 precipitated out, and it will be taken out and disposed
7 of dry; or sometimes they sell it in the case of sulfate,
8 because that's -- people will buy that.

9 They -- they do have -- get rid of it. It's
10 generally taken out dry and disposed of or sold in some
11 way. But I don't have any specifics on that with me.

12 CINDY SKRUKRUD: As Traci said, in the FOIA
13 materials that she reviewed, is that if the concentration
14 of sulfates are as high as 4,000 milligrams per liter,
15 then that waste stream -- it seemed to me that
16 concentration is high enough there should be ways to
17 reduce that further.

18 And under antidegradation, I think we're
19 compelled to ask them to do their very best and -- I
20 recognize that there's many things that they're --
21 they're -- that they will be reducing the discharges of.
22 But I don't think that means that we should -- shouldn't
23 also ask them to be looking at ways to minimize the
24 discharges of phosphate and sul -- phosphorous and
25 sulfate which they are planning to increase their --

1 increase their loading of.

2 MARK LISKA: We'll answer that in the end of...

3 CINDY SKRUKRUD: Okay. Thank you.

4 DEAN STUDER: Thank you all.

5 Is there anyone in the room that has any
6 additional comments they'd like to make before I adjourn
7 this hearing?

8 Okay. I remind everyone that the record is open
9 in this proceeding until the 8th of November. I thank
10 you for your attendance and your patience this evening.

11 Thank you. This hearing is adjourned.

12 WHICH WERE ALL OF THE PROCEEDINGS

13 HAD IN THE FOREGOING

14 PUBLIC HEARING ON THIS DATE.

15 (WHEREUPON, the hearing was

16 concluded at 9:08 p.m.)

17

18

19

20

21

22

23

24

25

13 I further certify that my certificate attached
14 hereto applies to the original transcript and copies
15 thereof, signed and certified under my hand only. I
16 assume no responsibility for the accuracy of any
17 reproduced copies not made under my control or direction.

20

21

22

23

24

25

C.S.R. Certificate No. 084-002503.