

1 ILLINOIS ENVIRONMENTAL PROTECTION AGENCY

2

3

STERIGENICS FORMAL PUBLIC MEETING

4

AIR POLLUTION CONTROL CONSTRUCTION PERMIT

5

6 PLACE: Ashton Place

7 341 75th Street

8 Willowbrook, Illinois 60527

9

10 DATE: Thursday, August 1, 2019, 6:00 p.m.

11

12 MEETING MODERATORS:

13 Mr. Dean Studer

Illinois Environmental Protection Agency
Hearing Officer

14

15 Mr. Brad Frost

Illinois Environmental Protection Agency
Manager, Office of Community Relations

16

17 Mr. Christopher Romaine, P.E.

Illinois Environmental Protection Agency
Manager, Construction Unit, Bureau of Air,
Permit Section

18

19

Mr. Kevin Mattisson

Illinois Environmental Protection Agency
Bureau of Air, Des Plaines Field Office

20

21

22

23

24

1 MR. STUDER: My name is Dean Studer, and I'm
2 hoping that everyone in the back can hear me. Yes?
3 Okay. That's good.

4 I've been asked to moderate tonight's
5 formal public meeting. I welcome you to this
6 meeting. Please know that this is a formal
7 meeting. It will be conducted in a structured
8 format with subject matter limited to the draft
9 construction permit for Sterigenics US, LLC, who
10 will be referenced either as "Sterigenics" or "the
11 applicant."

12 By way of background, on June 24, 2019,
13 the Illinois EPA, Bureau of Air, received a
14 construction permit application from the applicant
15 to conduct certain improvements to the
16 sterilization operations at the Willowbrook I
17 facility located at 7775 Quincy Street, here in
18 Willowbrook. The application was required under
19 existing provisions governing permitting of sources
20 as well as new Section 9.16 of the Illinois
21 Environmental Protection Agency, known as the
22 Matt Haller -- that's H-a-l-l-e-r -- Act. The
23 Illinois EPA received the application, and a draft
24 construction permit was made available for public

1 review on July 15th, 2017 -- or 2019. Excuse me.
2 Currently a public comment period concurrent with
3 the making available the draft permit, the public
4 comment opened. And that will close on August 15th
5 of 2019.

6 The purpose of this formal public meeting
7 is to accept verbal comment on the draft
8 construction permit. At the time of the final
9 decision on the permit application, the Illinois
10 EPA will issue a Responsiveness Summary, a document
11 that will respond to all significant questions or
12 comments raised regarding the draft construction
13 permit and all comments timely received during the
14 comment period or those stated on the record at
15 this meeting will be included in that
16 Responsiveness Summary.

17 In accordance with Section 39 of the
18 Illinois Environmental Protection Act, final action
19 on this application for the construction permit
20 must be taken within 90 days of receipt, or no
21 later than September 22nd, 2019, or a permit will
22 issue by default. Final action will be based on
23 whether the applicant has demonstrated compliance
24 with the applicable provisions of the Illinois

1 Environmental Protection Act and the regulations
2 promulgated thereunder. Moreover, if the Illinois
3 EPA determines that the legal requirements for
4 obtaining a permit have been satisfied, the
5 Illinois EPA is required to issue a construction
6 permit. Again, the Responsiveness Summary will be
7 made available to the public at the time the final
8 action is taken on the application for the
9 construction permit.

10 Please ensure that you have completed a
11 registration card if you would like to speak this
12 evening, or if you have not and want to speak,
13 please proceed to the registration area to do so.
14 Please be sure to check the appropriate box on the
15 registration card if you desire to make comments or
16 ask questions regarding the draft construction
17 permit this evening. Also know that those who
18 legibly complete a registration card or timely
19 submit written comments in this matter will be
20 notified of the final decision in this matter and
21 of the availability of the documents at the time of
22 the final decision.

23 This evening, when asking questions or
24 making comments, the format will be as follows:

1 You will be called to the microphone in
2 the center aisle.

3 You will be asked to state your name and
4 then to spell your last name as well as your first
5 if there are alternate spellings for your first
6 name.

7 You should state whether you represent any
8 governmental body, organization, association or the
9 like.

10 You will be afforded up to two minutes to
11 ask a question or make a comment on the draft
12 construction permit.

13 To the extent possible and in recognition
14 of time constraints, the Agency will provide a
15 brief response. Questions that warrant a longer
16 response or that require involvement from Agency
17 staff other than those that are present tonight
18 will be addressed in the Responsiveness Summary.
19 The Responsiveness Summary will contain the final
20 responses to all significant and relevant questions
21 or comments raised in this meeting, including those
22 where a preliminary response has been provided to
23 the Illinois EPA.

24 I will endeavor to enforce the time frame

1 so that we can hear from as many people as
2 possible. It is possible that not all who have
3 registered to speak will be able to do so. Comment
4 or questions do not need to be stated more than
5 once. If someone has already addressed a comment
6 or question that you wanted to ask, please feel
7 free to pass when I call your name to come to the
8 microphone.

9 At this time, please silence all cell
10 phones and other electronic devices, if you have
11 not already done so.

12 I will now have the Illinois EPA staff
13 introduce themselves. The introductions will be
14 followed by a brief presentation by Brad Frost of
15 the Office of Community Relations on the draft
16 construction permit. Thereafter, I will accept
17 public comments and questions.

18 MR. FROST: I'm Brad Frost. I'm the manager
19 of community relations at the Illinois
20 Environmental Protection Agency.

21 MR. ROMAINE: I am Chris Romaine. I'm the
22 manager of the construction unit and the air permit
23 section.

24 MR. MATTISSON: My name is Kevin Mattisson.

1 I'm with the Bureau of Air, and I deal with source
2 monitoring.

3 MR. FROST: As I said, I'm Brad Frost. I'm
4 the manager of the Office of Community Relations at
5 the Illinois EPA.

6 I have a presentation on the screen here.
7 And it's -- as Dean had stated, we're accepting
8 comments on the draft permit. So my
9 presentation -- I'll try to keep it brief because
10 we want to listen to as many comments as we can
11 tonight -- is over the draft permit.

12 Now, as I'm sure everyone in this
13 room knows, there is new law that was passed,
14 Senate Bill 1852, that is called the Matt Haller
15 Act that is codified now. It's law and is codified
16 in the Environmental Protection Act under Section
17 9.16.

18 And I'm going -- there are certain
19 provisions in that that I'm going to go through and
20 indicate to you where we addressed those in the
21 permit, such that if you could make relevant
22 comments on the draft permit. And, again, we're
23 accepting comments tonight in oral form. We're
24 also accepting written comments until August 15th.

1 So if you take the materials tonight and these
2 could be guidelines for you to help you know where
3 to find the relevant provisions in our permit.

4 So the first section or one portion on the
5 slide you'll see the verbatim text from the Act is
6 in italics on the various slides. So the owner or
7 operator of an on-site source "must apply for and
8 obtain a construction permit from the Agency." And
9 so -- go to the next slide.

10 So the facility -- and that is to
11 implement the various requirements in the -- in the
12 Section 9.16. So the company submitted a
13 construction permit application to us on June 24th
14 of 2019. It addresses only the Willowbrook I
15 facility and it was made available. We put
16 together a draft construction permit and made it
17 available July 15, 2019. We're, again, accepting
18 written comments on the draft construction permit
19 until August 15th of 2019, and those should be
20 submitted to EPA.Sterigenics@Illinois.gov.

21 As Dean already mentioned, state law
22 requires us to make a decision on the application
23 within 90 days of receipt of the application.
24 Otherwise the permit would issue by default.

1 And then final action will be based on
2 whether the application has demonstrated compliance
3 with the Environmental Protection Act and
4 regulations thereunder, including the new Section
5 9.16 of the Act.

6 If Illinois EPA determines that the legal
7 requirements for obtaining a permit has been
8 satisfied, Illinois EPA is required to issue a
9 construction permit.

10 So the new law contains a variety of new
11 requirements for this type of facility. And,
12 again, in italics is the language from the law.
13 The first thing I've put up there as kind of a
14 simplification. The first is the capture of
15 emissions, which is the total permit enclosure. So
16 we -- in the draft, as Permit Conditions 2-1(a) and
17 3(b) is where you will find the provisions in the
18 permit that address permanent total enclosure.
19 That means that the ethylene oxide sterilization
20 source captures and demonstrates that it captures
21 100 percent of all ethylene oxide emissions.

22 That same language continues on to discuss
23 control of emissions at this place. So that they
24 have to reduce ethylene oxide emissions to the

1 atmosphere for each exhaust point at the ethylene
2 oxide sterilization source by at least 99.9 percent
3 or 0.2 parts per million. And that, the provision
4 in the draft permit that addresses that is Permit
5 Condition 2-1(a).

6 Then the next section that we covered is
7 that they have to do initial emission testing, and
8 we included in initial emission testing provisions
9 in the draft that's Permit Condition 8.2.

10 Then -- so they have to do a initial
11 emission testing. Then they have to do annual
12 emission testing every year after the
13 once-a-calendar-year. And the provisions in the
14 draft permit are included in Condition 8-2.

15 The facility is also required to
16 continuously collect emissions information of
17 ethylene oxide source. That is included as
18 continuous emission monitoring and is included in
19 Permit Condition 7.1.

20 Then the law requires two certifications.
21 A facility permitted to emit ethylene oxide that
22 has been subject to a seal order under Section 34
23 is prohibited from using ethylene oxide for
24 sterilization or fumigation purposes, unless (i),

1 the facility can provide a certification to the
2 Agency by the supplier of a product to be
3 sterilized or fumigated that ethylene oxide
4 sterilization or fumigation is the only available
5 method to complete sterilize or fumigate the
6 product. So that's the supplier certification that
7 has to be submitted to the Agency before any
8 products can be sterilized.

9 And then two is an Agency certification.
10 Its agency has certified that the facility's
11 emission control system uses technology that
12 produces the greatest reduction of ethylene oxide
13 emissions currently available.

14 So that Agency certification you will find
15 in the draft permit as Provision 1(b)(iii)(c), and
16 what that essentially is saying is if all the
17 various conditions in the permit are satisfied,
18 then there's a certification that it meets the most
19 stringent or the greatest reduction. Sorry.

20 There is also a usage limit in the law.
21 So a limit on ethylene oxide usage at the source.
22 That's included in the Draft Permit Condition
23 5(a)(5) -- or (i). I'm sorry.

24 And then there's deviation reporting. So

1 they have to notify the Agency within five days
2 after discovering any deviations from any of the
3 requirements in this section or deviations from any
4 applicable requirements concerning ethylene oxide
5 that are set forth in this Act, USEPA's rules, or
6 Board rules. And that's included in Draft Permit
7 Condition 10(b).

8 Now, all provisions and directives in the
9 new law that are applicable to existing ethylene
10 oxide sources are applicable to Sterigenics.
11 However, as set forth in Condition 2-1, the draft
12 construction permit only addresses requirements of
13 Section 9.16, the new law, that are relevant for
14 improvements in the control of emissions of
15 ethylene oxide at Willowbrook.

16 So there are more provisions in the law
17 than you will find in the permit itself. There are
18 certain things that aren't applicable to control
19 systems at the facility that are in the law that
20 the facility still has to comply with.

21 So Willowbrook I has -- its sterilization
22 operation consists of 14 sterilization chambers and
23 three aeration rooms. They currently have
24 scrubbers and a dry bed absorption device for

1 control of emissions. And the improvements, which
2 are listed in Condition 1(b) of the permit, are,
3 again, permit total enclosure, which means the
4 building is put under negative pressure so that
5 there are no fugitive emissions; additional air
6 pollution control equipment; the control of
7 emissions by 99.9 percent or 0.2 ppm. And these
8 improvements will produce the greatest reduction in
9 ethylene oxide emissions currently available.

10 There is also in the permit a new emission
11 limit of 85 pounds per year. And they're also
12 going to be putting a single exhaust point with a
13 new stack.

14 So for compliance to assure you these are
15 working, there's annual emissions testing. That's
16 included in draft Permit Condition 8-2; continuous
17 emission monitoring, which is included in draft
18 Permit Condition 7-1. There's continuous
19 operational monitoring of the permanent total
20 enclosure, and that's included in draft Permit
21 Condition 7-2. There's recordkeeping and reporting
22 requirements in Conditions 9 and 10. And then
23 there are Agency inspections.

24 We've also included other provisions for

1 clarity in the permit, three that I'll go through
2 is Condition 2-3(a), which is that the issuance of
3 a construction permit does not affect the seal
4 order current in effect; draft Condition 2-3(b),
5 the issuance of any construction permit does not
6 leave the permittee of responsibility to comply
7 with all local, state, and federal regulations; and
8 draft Condition 2-3(c), which is all applicable
9 requirements of Section 9.16 -- again, the new
10 law -- apply regardless of whether they expressly
11 appear in the body of the construction permit.

12 So the improvements are: The capture of
13 all emissions, 100 percent capture; increase in
14 control efficiency 99.9 on all operations.
15 Previously, the federal standard, the NESHAP,
16 requires efficiency of 99 percent only on the
17 chamber and the aeration room.

18 There's also a limit on future emissions
19 of 85 pounds per year, which a fraction of the
20 current permit limits, and there's a new stack for
21 all emissions that they be raised to reduce
22 downwash.

23 Now, what will these improvements
24 accomplish? The USEPA has a reference point of

1 risk when they talk about risk of 1 in 10,000. The
2 dispersion modeling that we've done at the facility
3 shows that within these improvements at the
4 facility, risk will approach the 1 in a million
5 mark, which is typically, in a risk assessment
6 circles, is essentially the de minimus number.

7 So the main points -- and this is my last
8 slide -- is the new law requires a construction
9 permit for any modifications made to the source to
10 comply with the emission control requirements. All
11 emissions will be captured and routed through
12 control devices. Emission concentrations will be
13 reduced to levels well below the USEPA's reference
14 risk level. And emission test and continuous
15 emissions monitoring will verify that emissions
16 have been reduced.

17 So, again, we're taking -- we're taking
18 comments. So the purpose of my presentation was to
19 walk you through the various provisions in the
20 permit. We wanted -- we want to hear your comments
21 tonight. We want to receive them in writing.
22 They're due by August 15th and you can e-mail
23 comments to EPA.Sterigenics@Illinois.gov.

24 MR. STUDER: Thank you, Brad.

1 Is that better?

2 Whoa. I guess that is better.

3 Again, comments or questions made tonight
4 need to relate to the draft construction permit.
5 If statements or comments should drift outside of
6 this topic, I may interrupt the person speaking and
7 ask that they return to the subject matter of this
8 meeting.

9 As moderator --

10 (Audience outburst.)

11 MR. STUDER: As moderator, I intend to treat
12 everyone here tonight in a respectful manner. I
13 ask the same respect of all attendees. Because a
14 court reporter is here transcribing this meeting,
15 and to ensure that she can hear the comments and
16 questions, applause or outbursts are not
17 appropriate. To the extent that such disturbances
18 take up time, they detract from the number of
19 people who we will be able to accommodate tonight
20 to speak.

21 If the conduct of persons attending this
22 meeting should become unruly or abusive,
23 threatening, or disrespectful, I am authorized to
24 adjourn this meeting. In such a case, Illinois EPA

1 would still accept written comments through the
2 close of the comment period which ends on
3 August 15th.

4 Please, when you come forward, project
5 your voice into the microphone and speak slowly and
6 distinctly. Please consider leaving a copy of any
7 of your prepared remarks for the court reporter.
8 Please keep the general background noise in the
9 room to a minimum so that she can accurately
10 transcribe all the comments.

11 Questions regarding the draft construction
12 permit are to be addressed to Mr. Frost, sitting
13 here on my right. As this is an informational
14 meeting, there will be no examination, debate, or
15 prolonged dialogue with Mr. Frost, members of the
16 Agency panel, or others here in attendance. Also,
17 I will not allow members of the public to address
18 comments to other members of the public.

19 And one final note. If for any reason
20 persons who desire to provide verbal comments or
21 questions during tonight's meeting are unable to do
22 so, you may submit those comments or questions in
23 writing. Written comments are given the same
24 consideration as verbal comments made during this

1 meeting and may be submitted to the Illinois EPA at
2 any time during the comment period, again, which
3 ends on August 15th. Written comments should be
4 e-mailed to EPA.Sterigenics@Illinois.gov. That
5 e-mail address is provided on the Notice of Formal
6 Meeting and was also on the handout for this
7 evening's meeting. To be considered, comments need
8 to be received, again, no later than August 15th.

9 Are there any questions regarding the
10 process or procedures that I will use this evening
11 for this meeting?

12 Okay. Let the record indicate that no one
13 raised their hand.

14 With that, I will go ahead and proceed to
15 calling -- we have a certain number of elected
16 officials have asked to speak to us this evening.
17 We'll start with Representative Durkin, and he will
18 be followed by Representative Mazzochi.

19 I would ask, when you speak, if you would
20 spell your name for the court reporter.

21 REPRESENTATIVE DURKIN: Certainly. Can
22 everybody hear me in this room?

23 (Applause.)

24 REPRESENTATIVE DURKIN: All right. Thank you.

1 My name is Jim Durkin. I'm the state
2 representative of the 82nd District, which
3 represents Willowbrook and many of the surrounding
4 areas that are within the Sterigenics zone.

5 We once again come together as a community
6 under trying circumstances. We thought the
7 nightmare we have all been living through was
8 finally over, but unfortunately, this fight
9 continues.

10 In Springfield, we passed a bill, Senate
11 Bill 1852, negotiated by the EPA, members of the
12 legislature, the Illinois Environmental Council,
13 and also the advice of counsel from Stop
14 Sterigenics. We believe it is the strictest bill
15 in the nation regarding ethylene oxide. It had
16 bipartisan support in both chambers. It gave our
17 regulators at the Illinois Environmental Protection
18 Agency the tools needed to keep a corporate
19 polluter like Sterigenics closed for good.

20 Sadly, the Illinois Environmental
21 Protection Agency has forgotten their core mission.
22 Instead of working to protect us, it seems they are
23 working quickly to allow Sterigenics to open its
24 doors and start polluting again as quickly as

1 possible, as evidenced by the fast tracking of a
2 settlement on the seal order in the DuPage Circuit
3 Court.

4 I'd like to know when the discussions
5 between the EPA or the Attorney General and
6 Sterigenics start related to the settlement of
7 lifting the seal order. And I'd also like to know
8 when did communications between the EPA and
9 Sterigenics started regarding this new permit that
10 has been applied for. I've been told -- it's all
11 hearsay -- that it goes back many months. While
12 the bill was being negotiated, Sterigenics and EPA
13 were working on a permit.

14 I need to know more information. I would
15 like to know what communications were made between
16 both. I don't think I need --

17 (Applause.)

18 REPRESENTATIVE DURKIN: I don't think I need
19 to submit a Freedom of Information --

20 MR. STUDER: Again, the court reporter can't
21 hear over the applause. I understand this is an
22 emotional issue, but it is going to further
23 detract, so I'm going to have to say we've got to
24 keep applause down.

1 REPRESENTATIVE DURKIN: Those are two requests
2 I made and I hope that I'm able to get a response
3 back from the Agency regarding communications with
4 the seal order from Sterigenics, the EPA, and the
5 AG and also communications from Sterigenics and the
6 EPA regarding this new construction permit.

7 I'm glad that the Circuit Court of DuPage
8 County last week put a halt to this, slowed it
9 down. It was the right thing to do.

10 No one in this room is going to rest until
11 Sterigenics is closed. Any other outcome is
12 unacceptable. I say this not only as an elected
13 official, but also as a resident of Western
14 Springs, which is located in the region of these
15 emissions.

16 I haven't said this before -- I made
17 mention of it last week, but I think this is the
18 time for me to make this statement. In 2006, I was
19 diagnosed while I was living in Western Springs
20 with a brain tumor. I'm not sure how I got it. It
21 was -- it was rough. It left me partially
22 disabled. I'm totally deaf in my left ear. My
23 balance is completely compromised, but I am lucky
24 that I am here. I'm not the only person in this

1 room today who has gone through a horrific health
2 experience, but we must make sure it doesn't happen
3 again.

4 Now, I will go right to the point. I'm
5 asking you and Director Kim, Mr. Frost, to deny
6 this construction permit submitted by Sterigenics
7 on June 4th, 2019. The regulators at the EPA can
8 say no. It is in your discretion.

9 But let me be perfectly clear. You're
10 going to hear a lot of this from my colleagues,
11 particularly one coming after me. This permit is a
12 farce.

13 (Applause.)

14 REPRESENTATIVE DURKIN: I also want to be
15 clear that I presume those making the decisions on
16 whether or not this permit should be approved and
17 people ultimately deciding the issue do not reside
18 in the ZIP codes affected by Sterigenics.

19 (Applause.)

20 REPRESENTATIVE DURKIN: Mr. Frost, Director
21 Kim, I insist that you strongly consider the voices
22 you will hear tonight. Now, approving this permit
23 and stating you had no other option is not true.
24 You can deny it and you can say no. And if

1 Sterigenics want to take to the Court, let them do
2 it, but you can say no.

3 (Applause.)

4 REPRESENTATIVE DURKIN: Now, I'm going to --
5 specifically this permit, if you need a reason to
6 deny the permit, I'll give you one. What's
7 referenced on application page 20 to 21 is a
8 section titled "Compliance Information." On
9 page 20, under No. 30 of the page, it asks, "Is the
10 emission unit in compliance with all applicable
11 requirements?" Sterigenics in their application
12 checks the "yes" box.

13 The permit also in that section under
14 those pages asks for an explanation of ongoing
15 compliance. In Section 32, it says explanation of
16 ongoing compliance will be demonstrated, and it
17 states a few things. And it says something about a
18 CMS unit to be installed in a common stack. Now, a
19 CMS unit is a continuing emissions monitoring
20 system.

21 Section 34, describe any monitors of
22 monitoring activities used to determine fees,
23 rules, applicability, or compliance, makes a few
24 statements, and then it says, "CMS will be

1 installed." And that's under Section 34(a).

2 34(b), what parameters are being
3 monitored? It also makes another statement, CEMS
4 to be installed. And it then it -- under Section
5 C, describe the location of each monitor. "CEMS
6 location in the stack to be determined." Those are
7 on page 21.

8 Now, let's go to the first page of the
9 June 24th, 2019, cover letter to the permit
10 application that was drafted by the Sterigenics
11 director of environmental health and safety. And
12 let's jump to Paragraph 3 of the first page of that
13 letter. And this is from Sterigenics. We also
14 point out two additional features of the permit
15 application.

16 First, the application proposes to measure
17 EO concentrations in addition to existing methods
18 with a new continuous emissions monitoring system,
19 CEMS, which I previously referenced. "As the EPA
20 is aware, we have proposed use of a CEMS even
21 though no CEMS has been demonstrated as applied to
22 a sterilization facility like our Willowbrook
23 plant. We look forward to working with IEPA to
24 gain field experience with such systems in the

1 sterilization industry. To make this effort
2 successful, we will need to work cooperatively with
3 the IEPA and the manufacturer" -- who we have no
4 idea who the manufacturer is in this permit. "We
5 expect the permit will contain appropriate terms
6 and reflect those efforts."

7 Well, it doesn't. So my question is,
8 really, a CEMS, a continuing emissions monitoring
9 system, which they proposed, and by their own
10 admissions, states that it's never been used or
11 applied to a sterilization facility such as
12 Willowbrook.

13 "We look forward to working with you to
14 gain experience." Isn't that their job, to have
15 the experience to get this done and to have that
16 verified in their compliant?

17 "We need to work cooperatively with the
18 EPA, the manufacturer." It seems to me that the
19 CEMS, the monitoring system, proposed is untested
20 and is not reliable. And at this point, it cannot
21 accomplish the goals and nor will it get the job
22 done. Right there is reason number one to deny
23 this permit.

24 (Applause.)

1 contained? Are those drums contained in an area
2 which they have no exposure to the oxygen or the
3 environment? It doesn't say that in here. I think
4 the people behind me should know that.

5 Now, it goes through how this process
6 works. It says to dispense ethylene oxide, the
7 drums are moved with a drum cart from the storage
8 area through the dispensing station located inside
9 the chamber room areas. Once in place at the
10 dispensing station, the drum is connected to the
11 dispensing system where it gets a specific
12 sterilization chamber.

13 They're missing something that's extremely
14 important. What do you do with that drum after
15 it's completely will be used? Is it brought out to
16 a contained outside storage area? Is it sealed
17 shut? Is the EO completely removed from that used
18 drum? I don't know that.

19 Don't you think that Sterigenics has an
20 obligation to explain how they're abandoning this
21 product not only before and during, but just as
22 importantly, after. And they haven't done this in
23 this report.

24 So I use that as a reason to say that they

1 are, again, incomplete in this application to
2 ensure that if they plan to -- they're going to ask
3 the State of Illinois for their blessing to open up
4 their facility, they are gravely short. They have
5 not met what we believe are any standards for them
6 to even be considered for operating a business
7 again. Now, I'm speaking personally.

8 I'll speak as a legislator. I don't want
9 them back here anymore. Everybody here says --

10 (Applause.)

11 REPRESENTATIVE DURKIN: -- the same thing.
12 They've lost their right to --

13 (Applause.)

14 REPRESENTATIVE DURKIN: They've lost their
15 right to work in this region. I'm a pro-business
16 Republican, but the fact is that I'm offended that
17 worked.

18 So I'm just going to finish and say I'm
19 going to ask you to begin to do the right thing for
20 this region and what's right for the State of
21 Illinois and deny this permit. Thank you.

22 (Applause.)

23 (Audience outburst.)

24 AUDIENCE MEMBERS: Shut them down. Shut them

1 down.

2 MR. STUDER: Okay. The longer we shout and
3 chant and applaud, the less people we're going to
4 get to.

5 (Audience outburst.)

6 REPRESENTATIVE MAZZOCHI: I am State
7 Representative Deanne Mazzochi from the 47th
8 District, spelled D-e-a-n-n-e, M-a-z-z-o-c-h-i. I
9 represent Elmhurst and Hinsdale, and other affected
10 communities are in my district.

11 The Matt Haller Act gives the EPA tools it
12 needs to hold Sterigenics to the most heightened
13 standards possible using the most advanced science
14 and technology currently available. And you're not
15 using them.

16 As the draft permit presently stands, it
17 does not comply with Subsection G. Here's some,
18 not all, of the reasons why. Here's the first one.
19 The certifications required for the manufacturers
20 are entirely missing from the permit application.
21 It's utterly impossible to state today that the
22 proposed sterilization components of the permit are
23 acceptable or permissible without full disclosure
24 of those certifications and the product list.

1 Second, the permit pages 2 to 3 seems to
2 imply that the Agency has already made findings
3 that the technology that exists will be the
4 greatest reduction in ethylene oxide emissions
5 currently available. That's impossible.

6 There's no way that the Agency today has
7 made the independent findings that the technology
8 that exists for each particular product Sterigenics
9 proposed to make is in fact the best that's
10 possibly available.

11 The statement in the permit is utterly
12 conclusory. It's factually unsupported. It fails
13 to meet the legal standard that we legislators
14 demanded in Subsection G. And it's particularly
15 troubling that the Illinois EPA seems to be
16 equating the facility standards of Subsection B to
17 the product-based standards that are in
18 Subsection G.

19 The Agency may not rest on the assumption
20 the facility is using the best technology as a
21 proxy for making an independent determination that
22 each product sterilization method is the best and
23 most stringent technology available.

24 The permit doesn't do it. The findings

1 haven't been made. The permit is not compliant
2 with Subsection G. And unless and until the Agency
3 verifies that for each product Sterigenics proposes
4 to sterilize at the site, each one of those
5 products, ethylene oxide is the only thing that can
6 be used to sterilize that product and not other
7 techniques and the Agency makes independent
8 findings for this product, there's nothing more
9 than that could be done by Sterigenics to capture
10 emissions for that product, the permit is
11 premature. It's not ready.

12 And that is going to be a lot of work by
13 Illinois EPA. We understand it. But until that
14 factual basis exists per product, the permit is not
15 ready.

16 And nor may Illinois EPA keep those
17 findings secret as part of the permit process. The
18 findings have to be done, tested by the public
19 before they can qualify. And it pertains to a
20 particular. I just want to make it clear.

21 If Sterigenics says, "We have a product
22 and we think that the best technology we can use is
23 the Subsection G standard, that's one thing. But
24 if they want to do another product and there's

1 something more that can be done, that something
2 more has to be done. They have to hit that next
3 level, and it's the Agency's job to make them get
4 there.

5 Subsection G, in short, does not allow
6 Illinois EPA to cater to the lowest common
7 denominator, but that's exactly what the permit is
8 doing. You can't rubber stamp. You can't assume.
9 You can't agree to work with them. You've got to
10 do the work first for each and every product,
11 publish those findings, and let the public test the
12 accuracy of that judgment before they become final.

13 And since we know that hasn't been done,
14 the permit is premature and cannot issue. Because
15 the proposed compliance finding in the permit at
16 page 3, Subsection C, as it stands on the record
17 today, it's unfounded, unsupported, conclusory, and
18 necessarily arbitrary and capricious. That alone
19 should end the permit.

20 Third, when it comes to the emissions
21 testing itself, I am extraordinarily concerned that
22 the Illinois EPA seems to be relying on the same
23 type of testing that Sterigenics used before. As
24 we pointed out in our brief that we filed before

1 the Court, Exhibits G and H, the Illinois EPA
2 accepted Sterigenics' report that various samples
3 had no detectable ethylene oxide. But when you
4 look at the raw data, the baselines are messed up.
5 There's a clear signal for ethylene oxide in the
6 region where this test result said ethylene oxide
7 was not detected.

8 We pointed this out at House hearings of
9 the House Energy and Environment Committee.
10 Illinois EPA didn't make Sterigenics go back and
11 figure out what that signal is due to. Didn't make
12 Sterigenics go back and say what are these unknown
13 compounds that are coming off of the stacks. You
14 have no clue what really Sterigenics is allowing to
15 come off this stack.

16 (Applause.)

17 REPRESENTATIVE MAZZOCHI: And for a company
18 like Sterigenics that has been promising since the
19 1980s to get to 99.9 percent efficiency, these test
20 results and tests method are not good enough.
21 There's more that could be done. These test
22 results have a red flag in them. You should have
23 followed up on them. You didn't. And unless and
24 until you do, again, this permit isn't ready to go.

1 (Applause.)

2 REPRESENTATIVE MAZZOCHI: Fourth, Section
3 4(b)(1) of the permit talks about stack heights.
4 You know, you know full well that you're not even
5 getting the Subsection B standards. They are not
6 going to be met without an 87-foot stack height.
7 Yet this permit application has the magic word
8 "or". "87 feet or the highest Willowbrook will
9 allow." That is absolutely unacceptable. Because
10 you know your modeling won't work.

11 (Applause.)

12 REPRESENTATIVE MAZZOCHI: And you're
13 not going to get to those one in a million cancer
14 results without the 87-foot stack height. So the
15 fact that you're even entertaining a permit that
16 makes that an option is unacceptable and you're
17 throwing this community under the bus when you do
18 that, and that's not right.

19 (Applause.)

20 REPRESENTATIVE MAZZOCHI: And finally, fifth,
21 I just want to say, how dare you invoke 23(a) on
22 the seal order. Because you know full well that
23 seal order, the Illinois AG right now is trying to
24 make that seal order toothless. He is agreeing to

1 vacate it in a consent order and that is going to
2 -- so to somehow suggest that the people in this
3 community are going to be protected by the seal
4 order while you're thinking about what Sterigenics
5 is going to construct, that is flat wrong. That is
6 a misrepresentation, and you should not be giving
7 people that false sense of comfort that somehow
8 while this permit is pending people are going to be
9 given any protection by that seal order once that
10 consent order gets entered. They won't be.

11 This facility is not ready for prime time.
12 They've caused untold harm and damage to members of
13 this community. They have not shown a willingness
14 that they are going to actually come into
15 compliance and, frankly, they haven't even shown
16 that they're ever going to be able to come into
17 compliance with the Matt Haller Act, particularly
18 the Subsection G standards.

19 I strongly urge you to deny this permit.
20 At the very least, say that it is premature because
21 the work that needs to be done hasn't been done,
22 and it's your job to hold them accountable for
23 that.

24 (Applause.)

1 MR. STUDER: Thank you.

2 The next speaker is Mayor Frank Trilla and
3 he will be followed by Mayor Gary Grasso.

4 MAYOR TRILLA: Hello. Good evening. My name
5 is Mayor Frank Trilla, T-r-i-l-l-a. And I am here
6 to speak on behalf of the Village of Willowbrook to
7 oppose this Agency's hurried decision to allow
8 Sterigenics to continue to release harmful levels
9 of ethylene oxide into our air.

10 We believe that Illinois EPA must address
11 a number of serious concerns before permitting
12 Sterigenics to resume emitting ethylene oxide into
13 the air. First, Illinois EPA owes it to the people
14 of Illinois to be transparent in its
15 decision-making. The Village of Willowbrook
16 expended tremendous time and expense to provide the
17 Agency with the data necessary to expose and stop
18 Sterigenics' harmful emission of ethylene oxide.
19 Yet, when it came to ensuring an end to this
20 pollution, the Agency worked with Sterigenics under
21 a veil of secrecy to negotiate the terms. What
22 faith do we have that the permit will protect the
23 public?

24 For example, Illinois EPA has not shared

1 the air dispersion modeling that it undertook that
2 indicates the degree and extent of pollution that
3 the facility will cause, nor has the Agency shared
4 how it certified that Sterigenics' proposed
5 pollution controls represent the greatest reduction
6 of ethylene oxide emissions currently available, as
7 the statute requires.

8 The public should have an opportunity to
9 review this information before the Illinois EPA
10 issues a permit and before the facility resumes
11 operation. To that end, the Illinois EPA should
12 create a publicly accessible database that contains
13 all of this information as well as all data,
14 reports, and submissions that the construction
15 permit requires Sterigenics to provide.

16 Secondly, the Village does not believe
17 that the draft permit adequately addresses all
18 potential sources of ethylene oxide emission, the
19 particular -- and particularly the fugitive
20 emissions. Why, for example, is Illinois EPA
21 allowing Sterigenics to store both full and empty
22 drums of ethylene oxide next to the facility,
23 rather than in the permanent total enclosure,
24 preferably underground, where fugitive emissions of

1 ethylene oxide could be captured.

2 And why doesn't the permit require that
3 Sterigenics adopt a leak detection and repair plan
4 to promptly identify and fix any unintended
5 releases of ethylene oxide in the facility? The
6 draft permit is full of monitoring requirements,
7 but requires Sterigenics to do little, if anything,
8 once it or Illinois EPA has identified a problem.

9 Third, the permit must, but does not,
10 prevent the facility from operating when the
11 pollution control equipment is not operating, when
12 ambient air impacts are observed, or 100 percent of
13 ethylene oxide emissions are not being captured.
14 This is unacceptable. The permit requires that
15 Sterigenics immediately cease operations if it
16 fails an annual test. So why does it -- why
17 doesn't it also require Sterigenics to immediately
18 cease operations when a drop in pressure is
19 observed in the permanent total enclosure or when a
20 pollution control device fails?

21 These simple measures are critical to
22 ensuring that the public is not harmed by exposure
23 to unnecessary and preventable short-term exposure
24 to ethylene oxide from faulty operation of the

1 facility.

2 Fourth, the permit offers Sterigenics the
3 option to install a taller, 87-foot stack within
4 about a year after the permit is issued. As the
5 permit indicates, the Village may decide not to
6 allow that stack. If we do not, what will be the
7 impact on ambient air? Illinois EPA cannot issue a
8 permit that allows Sterigenics to begin operating
9 without first determining how tall the stack must
10 be to protect human health and the environment, and
11 Illinois EPA must make this information public.

12 Fifth and finally, the Village has serious
13 concerns that the combined emissions impact from
14 Willowbrook I and Willowbrook II facilities could
15 generate harmful levels of EO in the air. Even
16 though Sterigenics may not be able to immediately
17 resume operations at Willowbrook II, it may do so
18 in the future. Illinois EPA should account for
19 this possibility before it issues a construction
20 permit.

21 We appreciate the time to speak tonight
22 and to share the concerns of the community. We
23 plan to submit these written comments and explain
24 our concerns in even more detail. In the meantime,

1 we urge the Illinois EPA to consider the issues
2 we've raised tonight and not issue a construction
3 permit to Sterigenics. Illinois EPA must do more
4 to protect the people of Willowbrook and the health
5 of our neighbors and our children. Thank you.

6 (Applause.)

7 MR. STUDER: Thank you, Mayor.

8 MAYOR GRASSO: Representative Durkin,
9 Mazzochi, Mayor Trilla, thank you for your comments
10 and your strong support against Sterigenics. We
11 appreciate your leadership.

12 I will be brief so that we have many
13 people behind me that can speak. My name is Gary
14 Grasso, G-r-a-s-s-o. I am the mayor of Burr Ridge.
15 And like Willowbrook and our other communities,
16 Burr Ridge strongly opposes the Illinois EPA
17 issuing any permit to Sterigenics to reopen. We --

18 (Applause.)

19 MAYOR GRASSO: -- ask you to deny this
20 application for a construction permit. You are the
21 Environmental Protection Agency. Please protect
22 us.

23 (Applause.)

24 MAYOR GRASSO: You have proof. You have proof

1 already that Sterigenics has emitted for years
2 dangerous amounts of ethylene oxide into our
3 communities. Rather than entertain applications
4 for the issuance of a permit to reopen, you should
5 fine them millions of dollars and make them
6 establish --

7 (Applause.)

8 MAYOR GRASSO: -- and make them establish a
9 healthcare fund for the many who are ill, who have
10 cancer and respiratory disease in our community.

11 (Applause.)

12 MAYOR GRASSO: And you should keep them
13 closed.

14 As for the permit itself, has Sterigenics
15 complied with Section G of the Matt Haller Act? It
16 has not. That, as Representative Mazzochi has
17 clearly pointed out, is a precondition to asking
18 for a construction permit. How can you let them
19 build a facility before they have any
20 certifications from their suppliers?

21 Think about it. You are placing the
22 proverbial cart ahead of the horse. As you know,
23 the Matt Haller Act prohibits Sterigenics from
24 using EtO until two things occur. First, that

1 Sterigenics' suppliers, its customers, certify that
2 EO sterilization is the only available method to
3 completely sterilize their products, and second,
4 that this Agency certify that the proposed emission
5 controls reflect the greatest reduction in EO
6 available.

7 To the extent that these certifications
8 have been obtained, which I doubt, none of the
9 certifications have been made available to the
10 public. Where are they? How is a supplier going
11 to certify to Sterigenics and certify to the public
12 that their products can only be sterilized by a
13 cancer-causing agent? I doubt that will ever
14 happen. Hold their feet to the fire and make them
15 come up with the supplier certifications first.

16 (Applause.)

17 MAYOR GRASSO: And then tell Burr Ridge and
18 Willowbrook and these communities who those
19 suppliers are that will give that certification.
20 No supplier will do that because of the liability
21 that will happen when all of the people around here
22 prove their illnesses are due to ethylene oxide
23 from Sterigenics.

24 I was a member of the DuPage Board of

1 Health for 12 years. I asked them to do some quick
2 research for me in anticipation of tonight. They
3 came up with things from the USEPA, the USFDA, and
4 the Illinois Medical Society. The USEPA already
5 has a list of substitutes for ethylene oxide that
6 can sterilize these equipments. They are things
7 like hydrogen peroxide gas plasma systems. There
8 is a hydrogen gas acid system. There is steam for
9 devices resistant to heat and moisture, and there
10 is something called a Mini-Max Cleanser. None of
11 these require the use of EtO. If they don't
12 require the use of EtO, how can the suppliers say
13 EtO is the only way to do this?

14 The United States Food and Drug
15 Administration lists -- it lists 36 projects not
16 mentioning EtO at all as sterile and high-level
17 disinfectants that will sterilize medical
18 equipment. I have nine fancy names I will submit
19 in writing that go along with this.

20 Also, the Illinois State Medical Society
21 in April 2019 adopted Resolution A-19 that seeks
22 substitution of ethylene oxide with less toxic
23 alternatives that are currently available,
24 including hydrogen peroxide, steam, and other safe

1 alternatives, what you just heard from the USEPA
2 and from the FDA. These are alternatives.

3 Hold the feet of Sterigenics to the law.
4 Now, as to the 87-foot stack, please,
5 Frank, don't approve it.

6 (Applause.)

7 MAYOR GRASSO: I represent Burr Ridge.
8 Contiguous to Willowbrook is Darien. You're now
9 going to propose lifting -- instead of the
10 emissions here, lifting it up even higher so it can
11 get to Burr Ridge sooner. We don't want this gas
12 in our environment. You must understand people
13 live and work here. For years these communities
14 have been exposed to the life-threatening levels of
15 toxic carcinogens. After the seal order, EO levels
16 plummeted. That's all you need to know.

17 But the damage --

18 (Applause.)

19 MAYOR GRASSO: -- but the damage might have
20 been permanent for many of our residents that
21 inhaled Sterigenics' EO for decades. The seal
22 order abated this harm from continuing. You cannot
23 lift the seal order.

24 And by the way, what is the Attorney

1 General doing trying to get rid of the seal order?
2 How is the Attorney General representing the public
3 in that case?

4 (Applause.)

5 MAYOR GRASSO: Please deny this application.
6 Do not remove the seal order. Do not allow
7 Sterigenics to reopen. You are the Environmental
8 Protection Agency. Please, protect us.

9 (Applause.)

10 MR. STUDER: Bryon Vana.

11 MR. VANA: My name is Bryon Vana, B-r-y-o-n,
12 Vana, V-a-n-a. I am the city administrator for the
13 City of Darien, representing the city and Mayor Joe
14 Marchese, who is out of town.

15 My questions are going to focus on two
16 topics. One is this process we have here tonight,
17 which is -- I'm not sure what the process is. I
18 did attend a meeting a couple of weeks ago with my
19 colleagues and team members from the other
20 communities, as well as some members from Stop
21 Sterigenics. We were told this was going to be
22 a meeting, but I don't know what this is because
23 it's called a formal public meeting. I've looked
24 at other notices that you've put out for meetings

1 like this, and they're all -- they're titled
2 different things.

3 What I believe that this process should
4 require -- and I think Illinois EPA has the
5 flexibility to do that, and I think it is also part
6 of what's required in Title 35, Part 203, is a real
7 public hearing that requires Sterigenics to be
8 here --

9 (Applause.)

10 MR. STUDER: (Inaudible.)

11 MR. VANA: -- and also to be able to
12 cross-examine --

13 I didn't hear what you said. I'm sorry.

14 MR. STUDER: That's okay.

15 To my knowledge, we don't have the
16 authority to require the applicant to be here.

17 MR. VANA: The EPA, there's --

18 (Audience outburst.)

19 MR. VANA: I don't know what this process is,
20 if we're going to have a meeting. But, again,
21 Sterigenics should be required to be here as a
22 presenter. They should be able to be
23 cross-examined by witnesses.

24 If you're in any of our communities and

1 you want to build a fence that's 8 feet instead
2 of 6, you have a public hearing. People come.
3 They can ask the petitioner questions. And for
4 this issue, Sterigenics has been a ghost. I don't
5 think they've ever addressed Willowbrook or any of
6 the residents.

7 (Applause.)

8 MR. VANA: So my question is, to look at the
9 rules for this process. Scrap this meeting when
10 it's done. Reschedule a meeting, a real public
11 hearing, so that people can get answers and ask
12 questions. Thank you.

13 (Applause.)

14 MR. VANA: My second point is regarding
15 ambient air monitors. We all know that the average
16 levels of ethylene oxide after the Sterigenics
17 facility was shut down were at least 50 percent
18 lower in each of the ten monitors and the document
19 showed more than 90 percent lower at testing
20 locations closest to Sterigenics.

21 And I do not see anything in the permit.
22 I have received no information in my discussion
23 with the Illinois EPA of how that's going to be
24 determined. So if you were to allow Sterigenics to

1 open and those levels increased like they increased
2 before, what is the Illinois EPA going to do? And
3 there is no answer to that. And that needs to be
4 answered because that is critical. Those levels,
5 again, were unbelievable to the -- to all of us in
6 the USEPA, Illinois EPA, so that really needs to be
7 determined. We can't say, oh, they're going to
8 capture 99.9 percent so we don't have to worry
9 about the ambient air testing. And that is, in
10 essence, the answer I received from the EPA and we
11 definitely need a better answer than that.

12 And I'm not sure if Sterigenics is still
13 opposing the ambient air testing. In a release
14 they had sent out or put on the Web site earlier,
15 on May 10th, they're really -- they're not agreeing
16 with ambient air testing. And I think, again, if
17 they were here in front of everybody in the
18 meeting, they would need to answer those questions.

19 Thank you.

20 (Applause.)

21 MR. STUDER: Thank you. That concludes the
22 elected officials that have been asked to --

23 UNIDENTIFIED PERSON: Excuse me, sir.

24 MR. STUDER: -- speak on behalf -- did I miss?

1 Oh. Luke Stifflear. I apologize.

2 MR. STIFFLEAR: No worries.

3 MR. STUDER: And you are appearing on behalf
4 of Hinsdale?

5 MR. STIFFLEAR: That is correct, yes.

6 First of all, I'd like to enter a comment
7 to my state representative --

8 MR. STUDER: How do you spell your last name?

9 MR. STIFFLEAR: Luke Stifflear, L-u-k-e,
10 S-t-i-f-f-l-e-a-r. And I'm also here with Trustee
11 Neale Byrnes, N-e-a-l-e, B-y-r-n-e-s. Thank you.

12 So State Representatives Durkin and
13 Mazzochi, thank you very much.

14 First of all, I serve as the chair in the
15 Village on Zoning and Public Safety, and Trustee
16 Byrnes, who serves as the chair of the Village's
17 Environmental and Public Services Committee. We
18 are here on behalf of the entire Village of
19 Hinsdale to speak out against the issue of the
20 construction permit on Sterigenics' facility.

21 Since August of 2018, the residents of
22 towns and villages surrounding the Sterigenics
23 facility have revealed that Sterigenics' business
24 practices have endangered the health and safety of

1 people in the surrounding communities. During this
2 time period, Sterigenics continually denied that it
3 has known that which is now known as a fact, that
4 EtO emissions from its facility were at dangerous
5 levels.

6 Furthermore, business practices prior to
7 2018 illustrate a long history of unacceptable
8 practices and neglect for public safety. Decades
9 of Sterigenics' operating history shows Sterigenics
10 to be simply bad actors, routinely compromising the
11 health and safety of area residents.

12 It is with overwhelming public support and
13 the backing that I make the statement Sterigenics
14 simply cannot be trusted.

15 (Applause.)

16 MR. STIFFLEAR: For the Illinois EPA to
17 approve a permit that would allow Sterigenics to
18 resume operations is unfathomable and contrary to
19 the mission of your organization. Now is the time
20 for you to do your job and simply protect our
21 communities. Simply deny the application based on
22 the past bad acts of Sterigenics, which they have
23 illustrated for decades.

24 I would also like to thank you for

1 allowing the information you gave that answers four
2 specific questions, but the question that it did
3 not answer is what type of standards must be met
4 for Sterigenics to be an allowable operator? Are
5 there any standards whatsoever for Sterigenics to
6 be the operator?

7 If we have a commercial driver who gets a
8 DUI or a speeding ticket, we take his license away.
9 Just because he gets a better truck, we don't allow
10 him back on the highway. Sterigenics should have
11 the exact same method.

12 (Applause.)

13 MR. STIFFLEAR: Needless to say, neither
14 Trustee Byrnes nor I or the community that we were
15 elected to represent have any faith in Sterigenics
16 doing the right thing. As has been established by
17 its past business practices, Sterigenics will
18 mislead regulators, mislead the public, continually
19 deny wrongdoing, any wrongdoing, and will very
20 likely put their profits ahead of any safety of
21 Illinois residents.

22 It is the position of the Village of
23 Hinsdale that the Illinois EPA deny the permit
24 request based on the elevated public health risks

1 that exist by allowing Sterigenics to operate a
2 facility, even with the additional improved
3 equipment. Thank you.

4 (Applause.)

5 MR. STUDER: Okay. I think now that -- as to
6 address, we will now move on to questions and
7 comments from the general public. For this section
8 of the public meeting, we'll allow two minutes. If
9 you have comments or questions, I would suggest if
10 you have a question that you want a response to and
11 here, again, we'll have to be as brief as we can,
12 that you would ask the question first or otherwise
13 you may not get an answer in the time that we have.
14 We're going to have to move to try and get as many
15 people in as we can tonight.

16 Again, the topic is the draft permit and
17 those that have spoke have done a very good job of
18 addressing the permit and permit conditions and
19 raising questions on those. And that is the focus
20 of tonight's meeting.

21 What I will do is I'm going to call a name
22 and I'm going to call a second name. And we have
23 an empty seat that is directly behind the podium on
24 my right, which would be on the left of the aisle

1 here. And the second person, if they could come up
2 and take a seat in there, they would follow the
3 first person, and that way we can try and keep
4 things moving. I will try and keep one person on
5 deck at all times. If by chance when your name is
6 called and you want to pass or someone has already
7 said what you wanted to say, feel free to do that.
8 Also, if you are reading from prepared remarks, you
9 do have the option of submitting those to us in
10 writing. We will take those, if you would like,
11 either before or after or in lieu of making
12 comments this evening.

13 The first person will be Alex -- it looks
14 like Garel Frantze. Did I really mess that up?

15 And Colleen Haller will be following him.

16 MR. GAREL FRANTZE: Good evening. My name is
17 Alex Garel Frantze, A-l-e-x, G-a-r-e-l,
18 F-r-a-n-t-z-e, and I'm here tonight to underscore
19 the comments of Mayor Trilla and Mayor Grasso.
20 Both mayors already rightfully insisted that the
21 Agency not issue the permit. My comments will
22 focus on issues that must be addressed should the
23 Agency decide to proceed with the permit.

24 First, transparency. IEPA should create a

1 publicly accessible database containing all the
2 information and comments you rely on for granting
3 the construction permit, as well as all data,
4 reports, and submissions the construction permit
5 requires Sterigenics to provide. This database
6 should include any customer certifications and the
7 Agency certification of the emission controls and
8 supporting documentation required by the Matt
9 Haller Act. The public should have the opportunity
10 to review the data, information, and plans the
11 Agency has received to date before IEPA issues the
12 permit.

13 Second, the draft permit does not
14 adequately address all potential current EtO
15 emissions, especially fugitive emissions. The
16 permit should require Sterigenics to adopt a leak
17 detection and prepare a program to promptly
18 identify and fix any unintended release of EtO.

19 Third, the permit should prevent the
20 facility from operating when pollution control
21 equipment is not operating, like during a
22 malfunction when ambient air impacts are observed
23 or when 100 percent EtO emissions are not being
24 captured.

1 Fourth, the permit is devoid of any
2 evidence demonstrating that either the stack of
3 Sterigenics is required to install or that 87-foot
4 stack that Sterigenics may obtain the right to
5 install is protective of public health. If the
6 stack is lower, will Willowbrook residents and
7 surrounding communities be protected? As the
8 Agency determined, this height will address
9 building downdraft conditions.

10 Fifth, the customer and Agency
11 certifications under the Matt Haller Act are not
12 once-in-time requirements. Methods of
13 sterilization and technology controls change. Will
14 the Agency require Sterigenics to submit customer
15 certifications annually and reconsider their
16 certifications on a regular basis?

17 Thank you.

18 (Applause.)

19 MR. STUDER: Thank you.

20 Colleen Haller, and she'll be followed by
21 it looks like Randall McNichols.

22 MS. HALLER: Hi. My name is Colleen Haller,
23 H-a-l-l-e-r, C-o-l-l-e-e-n. I am a wife and I am
24 the widow of Matt Haller.

1 (Applause and standing ovation.)

2 MS. HALLER: Thank you. Thank you.

3 Have you ever watched a loved one die of
4 cancer? Sixteen months I watched my husband slowly
5 die from stomach cancer. He was an active man. He
6 played hockey. He loved skiing. He loved the
7 outdoors. He was only 45 years old when he passed.
8 It was not gas coming from a car. It was not gas
9 from a grill. It was not gas from a lawnmower or
10 the food he ate. He was a very healthy man that
11 cooked his own food.

12 I lost my best friend, the person I was
13 supposed to grow old with. But worse, my son, who
14 is only four, lost his father. How many people in
15 this room have lost a loved one to cancer? Please
16 raise their hands.

17 How many of you know somebody who is
18 fighting cancer right now? Please raise your hand.

19 If you have respiratory issues, migraines,
20 fertility problems, if you've had a miscarriage,
21 please raise your hand.

22 This is why this permit should not be
23 granted. Nobody in this community should go
24 through the pain and the loss that I went through.

1 There are images I can never get out of my head,
2 and that is watching your spouse take their last
3 breath because of this company, Sterigenics.

4 I am asking you. Do not grant this
5 permit. Please, for our community. There is a
6 high school down the street. There are grade
7 schools. There are middle schools. There are day
8 cares. There are libraries. It is common sense.
9 Do not grant this permit.

10 And if Director Kim does, I hold him
11 responsible.

12 (Applause.)

13 MR. STUDER: Thank you.

14 (Applause.)

15 MR. STUDER: (Inaudible) is following
16 Mr. McNichols.

17 MR. McNICHOLS: Good afternoon. Or good
18 evening. My name is Randy McNichols,
19 R-a-n-d-a-l-l, M-c-N-i-c-h-o-l-s.

20 I'm a resident of Darien. I'm also a
21 decorated Vietnam veteran.

22 (Applause.)

23 MR. McNICHOLS: And for 40 years I was told
24 how safe Agent Orange was by our federal

1 government. I watched my brother die and many
2 others. This is a death sentence that you're
3 passing on to all of us, not a permit. A death
4 sentence. Thank you.

5 (Applause.)

6 MR. STUDER: Jana Conev. The next person
7 following her will be Urszula Tanouye.

8 AUDIENCE MEMBER: Tanouye.

9 MR. STUDER: I'm so sorry. As long as she
10 knows who she is.

11 MS. CONEV: My name is Jana Conev, J-a-n-a,
12 C-o-n-e-v. I live right on Midway Drive, about
13 2,000 feet from Sterigenics. I own and run Conev's
14 Cradle Infant Care and I am in the air zone.

15 I thought it was going to be Sterigenics
16 that was going to be here also, but I guess they're
17 just too darn chicken.

18 (Applause.)

19 MS. CONEV: You've heard the expression "It
20 takes a village." Sterigenics has taken our
21 village. We have lived here for over 33 years. I
22 have cancer. My husband has three kinds of cancer.
23 He will be on hormone therapy for the rest of his
24 life because it is in his skeleton. He can't be

1 here because he can't sit or stand for any length
2 of time.

3 I want you to know that EtO is heavy and
4 it stays close to the ground. Almost a year ago,
5 when you EPA people were here, your representative
6 told us not to run our air conditioner. Rain makes
7 it worse. I am now absolutely terrified of rain.
8 I'm a 60-year-old woman who has a phobia of rain
9 because of Sterigenics and EtO. The reality, the
10 fear, the anxiety are real.

11 You know, recently an alligator was
12 captured and relocated to where it posed no harm or
13 a threat to the residential area. Sterigenics, I
14 want you to follow suit, and you, the EPA, has got
15 to see to it that they do so. They're not welcome
16 here. No EtO emissions are safe. The tools you're
17 offering have not been tested. Do I look like a
18 rat?

19 (Applause.)

20 MR. STUDER: Thank you.

21 Sri Rao will be next.

22 MS. TANOUYE: Urszula Tanouye, U-r-s-z-u-l-a,
23 T-a-n-o-u-y-e.

24 On page 11 of the application that

1 Sterigenics submitted -- I'm going to quote --
2 "Sterigenics also requests to operate this facility
3 under this construction permit until its CAAPP
4 permit is revised to address the proposal."

5 Can this permit be used to resume
6 operations under its provision before their proper
7 operating permit is issued, granted all of the
8 stipulations that which were raised -- have raised
9 or met?

10 That's a question.

11 MR. FROST: So there is the draft construction
12 permit, which we're evaluating. The underlying
13 CAAPP permit is still valid and selected. But the
14 question that you're posing is a complex question.
15 I think it's better that we put it -- the response
16 in writing because it's very complex.

17 (Audience outburst.)

18 MR. FROST: It's not a simple yes-or-no
19 question. I do appreciate the question, though.
20 From the standpoint of doing it justice, that's a
21 response that we should develop because there are
22 complexities.

23 (Audience outburst.)

24 MR. FROST: I think as you know.

1 UNIDENTIFIED PERSON: So the answer is yes,
2 Urszula.

3 UNIDENTIFIED PERSON: Urszula's clock should
4 be restarted.

5 MR. STUDER: Okay. We have one person at the
6 mic. The court reporter cannot get your words when
7 other people are speaking. So we cannot have this
8 type of disorder with a court reporter in the room.
9 So the person at the mic is the one that's
10 authorized to speak.

11 MS. TANOUYE: I have some serious concerns
12 about the exemption of method 204, criterion 5-1,
13 about any VOC emitting point being 4 equivalent
14 diameters away from any natural draft opening
15 enclosure. If one criterion is modified, I'm
16 concerned that the other criteria may need to be
17 modified, such as the facial velocity, in order to
18 adequately maintain the permanent total enclosure.
19 The originally proposed method in 1995 does not
20 include a provision by which exceptions to the
21 enclosure criteria can be made.

22 It seems that statements from the
23 application and draft permit are made because it
24 wouldn't be appropriate for this requirement if the

1 product is considered a VOC point while being
2 loaded onto a truck for shipping.

3 I have two concerns with this. One, it
4 seems that this industry would like to consider the
5 product as containing minimal and un concerning
6 levels of EtO in the processed product (what's
7 being loaded onto a truck) when they talk to the
8 FDA.

9 But then when they turn to the EPA, that
10 product becomes a VOC-emitting point; it is so
11 significant it must qualify them for an exemption
12 to the method.

13 I think what happened here is they don't
14 want to modify the location of the doors to the
15 aeration and storage rooms to comply with the
16 method or to create a second strongly ventilated
17 transition room to further protect against
18 unintended releases.

19 For comparison, the EPA granted
20 a permit to a printing company also using
21 method 204. Presumably, they have the product
22 that's generated inside the PTE that then needs to
23 somehow be removed from that PTE to ship to their
24 customers. Yet, they don't have any exceptions to

1 criterion 5-1 to accommodate product being removed
2 from the PTE through any NDO.

3 I strongly question the motives and
4 justifications for this exception.

5 (Applause.)

6 MR. STUDER: And Margie Donnell, she'll be on
7 deck.

8 Go ahead, sir.

9 MR. RAO: My name is Sri -- Sri -- Rao, R-a-o.
10 I'd like all of my answers in writing so as not to
11 take up too much time with your answers.

12 Is CMS, FCE, or PCE regulated?

13 How is ethylene oxide not regulated under
14 the NESHAP for sterilization facilities, Subpart O?

15 The application on page 16 at 11(c) lists
16 the last modification date for Sterigenics'
17 sterilizing chambers, vacuum pumps, and back vents
18 as November of 1990. The community was told
19 Sterigenics had hooked up the back vent and changed
20 them in 2018. This is an inconsistency in the
21 application.

22 The application also refers to the storage
23 and transfer of EtO drums. Willowbrook Village
24 Code, as updated on June 24th, 2019, limits EtO

1 storage to 100 pounds or whatever the facility has
2 on hand as of July 10th. The EPA inspection
3 reports indicate that no ethylene oxide was on hand
4 at Sterigenics. At these strong points over
5 400 pounds, not even a single drum would not be --
6 a single drum would be in violation of Municipal
7 Code.

8 It was related by Sterigenics that the
9 highest concentration of ethylene oxide was in the
10 shipping areas. Yet on page 13, the draft permit
11 states that the criteria is not appropriate for the
12 shipping doors while loading the product into the
13 truck. This is inconsistent with Sterigenics' own
14 statements regarding those doors.

15 Lastly, as a community member, back in --
16 I want to say in April or May -- we heard rumors
17 about the negotiations with Sterigenics and IEPA.
18 We made phone calls asking, and I asked you,
19 Director Frost, if that was happening, and you told
20 me no. You lied. You lied to this community. You
21 lied to me --

22 (Applause.)

23 (Audience outburst.)

24 MR. RAO: -- resignation. And I want

1 yours --

2 (Audience outburst.)

3 (Unreportable.)

4 MR. STUDER: Please. You are going to have to
5 stop speaking because none of what was said is
6 probably in the transcript because quite frankly --

7 (Audience outburst.)

8 MR. STUDER: If you're speaking and applause
9 breaks out and you want what you said in the
10 transcript, you're going to have to stop speaking
11 and wait for the applause to settle down.

12 UNIDENTIFIED PERSON: He said Brad Frost lied.

13 MR. STUDER: Lauren Kaeseberg will follow.

14 Go ahead.

15 MS. DONNELL: Margie Donnell, D-o-n-n-e-l-l.

16 My first question is, where is
17 Exhibit 220-A from page 53 of the draft permit?
18 The emission information under HAP, Hazards Air
19 Pollution, it says, "See Exhibit 220-A."

20 Can you hand that over to me?

21 (Audience outburst.)

22 UNIDENTIFIED PERSON: Pause the clock.

23 UNIDENTIFIED PERSON: Pause the clock.

24 MS. DONNELL: You don't have it?

1 MR. STUDER: Do you want an answer now or do
2 you want it --

3 MS. DONNELL: Well, you drafted a permit that
4 you --

5 MR. STUDER: Right. So I'm asking did you
6 want an answer now or do you want the answer --

7 (Audience outburst.)

8 MR. STUDER: -- (inaudible). We can do both
9 each time, but it's go to be --

10 (Audience outburst.)

11 MS. DONNELL: You know, here's the thing.
12 They're counting us at two minutes --

13 MR. STUDER: Ma'am. Ma'am. Ma'am. Ma'am.
14 Address me, please. Thank you.

15 (Audience outburst.)

16 MR. STUDER: The rules --

17 (Audience outburst.)

18 (Unreportable.)

19 MR. STUDER: The rules --

20 (Audience outburst.)

21 MS. DONNELL: The court reporter didn't get
22 what you said down. I'll address you.

23 I am asking anybody here who did not sign
24 the sheet to please sign your name and give up your

1 two minutes to those of us who still have
2 questions.

3 (Applause.)

4 MR. STUDER: That's not how this works.

5 MS. DONNELL: You don't get to just come in
6 here and make all the rules, sir.

7 (Audience outburst.)

8 MR. STUDER: Well, it was clear from the
9 start, but we will take the question.

10 MS. DONNELL: My question is, do you have
11 Exhibit 220-A? Do you have it here with you right
12 now?

13 MR. ROMAINE: I would have to review the
14 documents to find it.

15 (Audience outburst.)

16 MS. DONNELL: I want to know under what
17 conditions the IEPA can deny a construction permit
18 application.

19 MR. ROMAINE: As Mr. Studer has explained, a
20 permit application can be denied that does not
21 demonstrate compliance with the Environmental
22 Protection Act or regulations adopted thereunder.

23 MS. DONNELL: And all of you sitting up there
24 today, do you four get to make the decision as to

1 whether this draft permit is issued?

2 MR. FROST: We have permit section staff who
3 review the application against the law and the
4 applicable regulations.

5 MS. DONNELL: So the four of you sitting here
6 today are not the people that are making that
7 decision; is that correct?

8 MR. ROMAINE: I will be one of the people that
9 makes a recommendation on whether to act on the
10 application.

11 MS. DONNELL: Are you able to reject in part?
12 Or are you only able to accept or deny, grant or
13 deny it?

14 MR. ROMAINE: At this point in time, we can
15 either grant the permit or deny the permit.

16 MS. DONNELL: And if you deny the permit and
17 Sterigenics returned with another draft permit
18 application, does the whole 90-day process start
19 over again?

20 MR. ROMAINE: Yes.

21 Sterigenics can also appeal the denial of
22 the permit and then the Control Board will be under
23 the obligation to decide therein.

24 MS. DONNELL: If they appeal the denial, is

1 that something you make public?

2 MR. ROMAINE: Yes.

3 MS. DONNELL: Now, do you understand that
4 within their application Sterigenics clearly states
5 that the CEMS is unproven for ethylene oxide? Do
6 you agree with me?

7 MR. ROMAINE: No.

8 (Audience outburst.)

9 MR. ROMAINE: I agree with the statement that
10 Sterigenics made the application based on
11 the -- in the case of Mr. Mattisson, there are
12 continuous emission monitoring methods that are
13 available for ethylene oxide. The issue that we
14 are working on is developing a level at which those
15 methods can be used.

16 MS. DONNELL: My last question is, as you sit
17 here today, do you believe that this draft permit
18 is complete?

19 MR. ROMAINE: I believe that certain issues
20 have been identified that could be addressed in an
21 issued permit.

22 MS. DONNELL: Is that a yes or no, sir?

23 MR. ROMAINE: This is a draft permit. There
24 is certain potential for improvement. We do not

1 intend to issue the permit as drafted. That's why
2 we're having this public meeting, to get input from
3 the public on the draft permit, and we've had a
4 number of suggestions about the permit.

5 MS. DONNELL: Thank you.

6 (Applause.)

7 MR. STUDER: Thank you.

8 As Lauren is coming, it looks Thomas
9 Maguire is on deck. Go ahead.

10 MS. KAESEBERG: Well, you should be ashamed of
11 yourself for the way you spoke to her.

12 (Applause.)

13 MS. KAESEBERG: This is a community opposed --

14 (Applause.)

15 MS. KAESEBERG: Truly. I mean that. We're
16 here night after night. And it's because of a
17 problem that you guys created by allowing this
18 company to be here. It was shameful the way that
19 you just spoke to Ms. Donnell.

20 You keep speaking about dispersion
21 modeling that was done by the IEPA to create this
22 85-pound limit. We asked for that modeling to be
23 given to us when we met with you. You have not
24 given that to us. We request it once again so that

1 the dispersion model can be made available
2 publicly.

3 Second of all, you are rewarding bad
4 corporate behavior. Sterigenics, under this
5 permit, is -- has to comply with the fact that it
6 needs to be safety technology available, which they
7 maintain they're using because they acquire safer
8 technology when it's been developed.

9 A company called Noxilizer came out with a
10 nitrous dioxide alternative to ethylene oxide for
11 the very specific purpose of replacing ethylene
12 oxide in the market because it is dangerous.

13 What happened? They got FDA approval.
14 Sterigenics acquired that company. They acquired
15 the technology and the rights to all feasibility
16 studies of that technology. And now they don't get
17 to stand up there and say "We're using the best
18 available technology" because they've created a
19 monopoly where they own all the other technology.
20 And you are allowing them to do that. And it is
21 not the best available technology.

22 They can't just buy other companies and
23 quash it every time it comes out so that they stay
24 on top and make their money while they're killing

1 people.

2 (Applause.)

3 MS. KAESEBERG: I also think that under the
4 draft permit the facility is being treated as if
5 it's a new facility coming into a community for the
6 first time. I think that you are ignoring the fact
7 that they've been emitting ethylene oxide at
8 exorbitant amounts for 35 years.

9 If you look at the numbers of what their
10 self-reported emissions are from the late '90s, it
11 goes down to 36,000 pounds. When many of us sat in
12 high schools across the street and played in parks
13 across the street, we have been exposed to this our
14 entire lives.

15 So now the facility coming today, and
16 admit 85 pounds, to you guys, it's like some
17 glorious achievement, which is shocking. But to
18 us, it's an absolute life-threatening danger after
19 having constant -- we are the study, the 35-year
20 study of what happens to someone in that exposure,
21 that's us. Look around.

22 How many of you have been here 30-plus
23 years? We are that. So to have them reopen
24 today -- I don't care if there's 1 pound a year.

1 That could kill us and is not acceptable. And you
2 need to treat them as the bad actors that they are,
3 and also treat this community as the victims, which
4 under the law, you find -- you take the victim as
5 you find them. We are all poisoned already. Don't
6 poison us more by granting this permit. Finally --

7 (Applause.)

8 MS. KAESEBERG: Finally, Article XI of the
9 Constitution of the State of Illinois, Section 2,
10 says, "Each person has the right to a healthful
11 environment. Each person may enforce this right
12 against any party, governmental or private, through
13 appropriate legal proceedings subject to reasonable
14 limitation and regulation as the General Assembly
15 may provide by law."

16 If you let Sterigenics reopen, you are
17 opening yourselves up to a lawsuit. You can count
18 on our community suing the Illinois EPA and
19 violating our Constitutional rights.

20 (Applause.)

21 MR. STUDER: (Inaudible) Just for the back,
22 she asked the question --

23 MR. ROMAINE: I note that that quote did not
24 accurately reflect the Constitution. It also

1 indicated that to address that obligation was
2 shared with the Illinois legislature.

3 MR. STUDER: Okay. Getting back to our --
4 when the question was asked, the vast majority of
5 people here raised their hand and I want that in
6 the record because --

7 MS. KAESEBERG: Thank you.

8 MR. STUDER: -- just raising hands doesn't
9 show up in the record.

10 MS. KAESEBERG: Correct. Thank you.

11 MR. STUDER: And you are Thomas?

12 MR. MAGUIRE: Yes. Tom Maguire, T-o-m,
13 M-a-g-u-i-r-e.

14 MR. STUDER: Don't start yet. He'll be
15 followed by Andrew Kelly. Now. I apologize.

16 MR. MAGUIRE: First of all, I'd like to thank
17 Stop Sterigenics and Citizens 4 Clean Air for all
18 their hard work.

19 If you notice, I'm wearing a Willowbrook
20 Spring Fling 5K shirt. I've run this race every
21 year since it started in the park right by
22 Sterigenics. And in looking at the backs of all
23 the shirts, our sponsors, Sterigenics has never
24 been a sponsor of the race. Not once has

1 Sterigenics been a sponsor of anything in the
2 community.

3 If the EPA is going to refuse to listen to
4 the community and ignore all the evidence and keep
5 Sterigenics closed, then I have a modest proposal
6 for the consent order. Require that Sterigenics
7 move their corporate office from Oak Brook to
8 Willowbrook. Require that the corporate employees
9 live in Willowbrook.

10 (Audience outburst and applause.)

11 MR. MAGUIRE: Require that Sterigenics'
12 executives be exposed to the same risks that have
13 been suggested to every community member in this
14 room.

15 (Applause.)

16 MR. MAGUIRE: Now, this may sound ridiculous,
17 like I'm being facetious to prove a point, but I'm
18 entirely serious. If they claim the community is
19 safe, the community will no longer be in danger,
20 then they should have no problem relocating here.
21 They should have no problem raising their families
22 here, no problem with their children breathing the
23 air in Willowbrook.

24 My point is this. Sterigenics is a bad

1 actor with no accountability for their actions and
2 cannot be trusted unless they're exposed to the
3 same risks as everyone in this community and in
4 this room. And I'm not talking about underpaid
5 hourly employees.

6 When it was discovered they were poisoning
7 the community, they did not stop production.
8 Furthermore, they did not stop production at their
9 plants nationwide in order to cease harming people
10 all across this country. Now other towns are
11 fighting the same fight being fought here. They
12 could have taken steps to safeguard others, but did
13 not. They chose to continue to make money
14 literally from a safe distance.

15 If you allow Sterigenics to reopen, make
16 them move here. My proposal may sound ridiculous,
17 but I'm under the premise of allowing Sterigenics
18 to reopen, it's probably the only thing that makes
19 sense because nothing is more absurd than allowing
20 Sterigenics to operate. Not here. Not anywhere.
21 Sterigenics has never been a part of this
22 community. They only poison it, and there's no way
23 to believe that they will ever look out for our
24 well-being.

1 (Applause.)

2 MR. STUDER: Thank you. Andrew Kelly is up,
3 followed by Katherine Howard.

4 Go ahead.

5 MR. KELLY: Hello. My name is Andrew Kelly,
6 K-e-l-l-y. The key thing that everybody is missing
7 here is, Mr. Frost, your numbers to say that we're
8 safe are predicated on a 1 in a million risk
9 assessment.

10 Please raise your hand here if you do not
11 know how much ethylene oxide you've breathed in
12 over the last 35 years and you do not know your
13 cancer risk.

14 Your numbers are a sham.

15 MR. STUDER: Let the record --

16 MR. KELLY: And if you were here, if you were
17 my employee, I would fire every single one of you.

18 (Applause.)

19 MR. KELLY: For you to sit up here and tell me
20 you know what our community's cancer risk is is a
21 lie. You don't know. None of you know. And for
22 you to sit here and say that it's a 1 in a million,
23 none of you are risk censors. You don't know.

24 This permit should not be allowed to move

1 forward until you know the risk assessment and the
2 cancer risk of every single person here.

3 (Applause.)

4 MR. STUDER: Let the record reflect also that
5 there was almost unanimous on the number of people
6 that raised their hand when the question was asked.

7 And Katherine is here. She'll be followed
8 by Heather Conroy.

9 MS. HOWARD: Katherine Howard, H-o-w-a-r-d.
10 First name, Katherine, K-a-t-h-e-r-i-n-e.

11 I know my cancer risk. I know it. I was
12 diagnosed in 2009. I hook up to this thing
13 17 hours a day because of stomach cancer. So don't
14 talk to me about 1 in a million risk. I live with
15 it every damn day.

16 Now I have some questions about the
17 permit. First of all, one of the comments I
18 noticed was that it states here for the annual
19 limit, they'll be using a 12-month period that
20 begins March 2019. Why would a 12-month period
21 begin in March 2019 when they're not even open?

22 It seems to me you're allowing them
23 to use that 85 pounds within a very short time if
24 you're talking about a 12-month period beginning

1 March 2019.

2 MR. ROMAINE: That is the first 12-month
3 period. The second month period would start
4 April 2019 through March 2020, assuming they were
5 actually operating. But we have to start the time
6 period, so there will be a series of 12-month
7 periods. Within each of those 12-month periods,
8 annual emissions in the 12-month total emissions
9 cannot exceed 85 pounds.

10 MS. HOWARD: All right. 85 pounds is --
11 contains a lot of EtO molecules so -- I'm sorry.
12 The ATSDR said there is no safe limit. So I don't
13 understand why you're saying that they're allowed
14 85 pounds. It only takes one molecule to change
15 your DNA.

16 (Applause.)

17 MS. HOWARD: I would also like to address the
18 fact that the permit indicates that the permanent
19 total enclosure is effective as long as all windows
20 and doors are shut.

21 UNIDENTIFIED PERSON: Yeah, right.

22 MS. HOWARD: What is that? You open your
23 window and suddenly -- now is that going to be
24 reported? Because we know if an alarm goes off,

1 Sterigenics has a history of turning off those
2 alarms. Are you guys going to have somebody there
3 walking around, checking the windows? Because the
4 minute they open a window, you no longer have a
5 PTE.

6 MR. FROST: Is that a question about --

7 MS. HOWARD: Yeah. It's actually a question.
8 How are you going to keep the windows shut?

9 UNIDENTIFIED PERSON: And the doors?

10 MS. HOWARD: How will you know if they open a
11 window?

12 MR. MATTISSON: So it's within the permit.
13 They're required to monitor the pressure
14 differential --

15 (Audience outburst.)

16 UNIDENTIFIED PERSON: They monitor?

17 MS. HOWARD: Tell me what that means. Tell me
18 what that means. Because monitoring means diddly
19 squat if they're the ones self-reporting their
20 monitoring.

21 (Applause.)

22 MS. HOWARD: How do you even trust -- I have
23 documents that are on letterhead from Sterigenics
24 stating how much their emissions are, but what they

1 reported on Form R is very different from what they
2 reported on their annual emissions reports. But
3 you guys aren't paying attention. The numbers
4 don't line up. They never have lined up.

5 MR. MATTISSON: So I'm going to answer your
6 question about the permanent total enclosure and
7 the pressure differential --

8 MS. HOWARD: Thank you.

9 MR. MATTISSON: -- because that's what you
10 asked.

11 In the course of method 204, one of the
12 criteria is that you have to have a face velocity
13 and air removal in the enclosure of 200 feet per
14 minute.

15 UNIDENTIFIED PERSON: Can't hear you.

16 MR. MATTISSON: At 200 feet per minute.

17 Is that better?

18 Back in 1997, USEPA came up with an
19 alternative to measure that 200 feet per minute,
20 and that's with a differential pressure, the
21 pressure inside and outside that enclosure. As
22 long as that pressure, on average, is greater than
23 negative .007 inches of water column, that is
24 equivalent to 1 foot per minute.

1 So you're asking how do I know if they
2 don't -- if they open a door? If they open a door
3 and leave it open, the fan can't keep up and
4 maintain that negative pressure. The permit
5 requires monitoring on a continual basis of that
6 differential pressure, data log for them to
7 maintain. That's how we can ensure on an ongoing
8 basis, 24 hours a day, seven days a week, 365 days
9 a year that that's being maintained. It is
10 unreasonable to have Agency staff sitting there
11 365 days a year to maintain that. So we rely on
12 monitors and continuous monitoring to do that.

13 MS. HOWARD: I have one final comment. If you
14 allow Sterigenics to reopen, it should be under the
15 condition that they return my stomach to me.

16 (Applause.)

17 MR. STUDER: Thank you.

18 Heather is at the podium. She'll be
19 followed by -- it looks like Ralph Scumaci. I
20 probably really butchered that.

21 MS. CONROY: Heather Conroy, C-o-n-r-o-y. I'm
22 a Darien resident. I just have a quick question
23 abut this stack. So I'm kind of confused. You're
24 saying that it's the height approved by the Village

1 of Willowbrook, which I'm sure you guys have all
2 looked at their codes. I would think that you
3 would take that into consideration.

4 But "or 87 feet aboveground." Where does
5 the 87 feet aboveground come from? What model is
6 that in that -- what does that do?

7 MR. ROMAINE: The dispersion modeling that has
8 been conducted for the facility shows that the
9 effect of downwash or the effect of buildings on
10 good dispersion emissions is reduced by having a
11 stack that is at least 87 feet high.

12 MS. CONROY: So you're dispersing it and
13 you're just throwing it further away from the
14 testing area?

15 MR. ROMAINE: No.

16 MS. CONROY: That's kind of what it sounds
17 like.

18 MR. ROMAINE: We are dispersing it better
19 everywhere.

20 (Audience outburst.)

21 MS. CONROY: So everybody gets killed. All
22 right.

23 MR. ROMAINE: Excuse me.

24 MR. STUDER: Chris, you're going to have to

1 wait until the applause -- until the background.

2 Okay. Go ahead.

3 MR. ROMAINE: By eliminating downwash, you
4 reduce the concentrations that everybody is exposed
5 to.

6 MS. CONROY: Oh, okay. So everybody gets
7 exposed, not just a little amount of people?
8 Everybody gets a little bit of it kind of thing.

9 (Audience outburst.)

10 UNIDENTIFIED PERSON: Environmental Protection
11 Agency. Protect us.

12 MS. CONROY: It takes one molecule.

13 (Audience outburst.)

14 UNIDENTIFIED PERSON: Protect us.

15 UNIDENTIFIED PERSON: Protect us.

16 MR. STUDER: Okay.

17 MS. CONROY: That's it.

18 MR. STUDER: Background noise. The court
19 reporter cannot hear over it. I understand your
20 frustration.

21 UNIDENTIFIED PERSON: No, you really don't.

22 (Audience outburst.)

23 MR. STUDER: Ralph will be followed by Sandy.
24 It looks like Binyamin.

1 MR. SCUMACI: My name is Ralph Scumaci,
2 R-a-l-p-h, S-c-u-m-a-c-i.

3 I'd like to know how many times have you
4 revised the acceptable levels of emissions? You
5 don't really have to answer it. I know it's quite
6 a few times over the years since the '80s. So we
7 don't really know if this level that's now
8 acceptable is really acceptable and going to
9 protect us.

10 A lot of talk about the -- how Sterigenics
11 self monitors. Obviously, you've heard -- and I
12 don't know if you're aware, but they -- they don't
13 do a good job of self monitoring. They lie. We've
14 heard about employees of theirs that are told to
15 wash the residue down the drain. I know from jobs
16 that I've had that I've managed, quite a few
17 people. And I would be fired if one of my
18 employees washed anything down the drain, any type
19 of chemical. The EPA would lock that building up
20 with 1,200 employees and probably never reopen. We
21 accept it from this company.

22 They're not going to -- they're not going
23 to tell you when they have mistakes. They're not
24 going to tell you when they have accidents.

1 They're not going to tell the community that
2 they've had leaks or anything of that type.
3 They're not good actors. It's just not going to
4 happen.

5 You also hear about the possibility of
6 getting breaks cut because of the grandfather
7 rights. I've lived in the community since 1978
8 before they've gotten there. So there's quite a
9 few people here that have more than grandfather
10 rights, to stay fair. And, plus, I'm a
11 grandfather, so I'd like to protect my
12 grandchildren and my family.

13 So that's all I have.

14 (Applause.)

15 MR. STUDER: Thank you.

16 And Kathy is at the podium. She'll be
17 followed by Carolyn -- it looks like.

18 MS. BINYAMIN: It's Sandy now.

19 MR. STUDER: And Sandy. I'm so sorry. Go
20 ahead.

21 MS. BINYAMIN: My name is Sandy Binyamin,
22 B-i-n-y-a-m-i-n. I used to be a wife. I'm now a
23 widow. And I've lived here most of my life and my
24 husband didn't.

1 We have been pounded with whistle blowers
2 that Sterigenics lies and cheats. And I want to
3 know how you can prevent this from happening again.
4 They will change whatever they have to change to
5 get away with what they're doing. And I hate for
6 any other family to go through what my life has
7 been like when I had 13- and 16-year old children
8 without a father. That's all.

9 (Applause.)

10 MR. STUDER: Thank you.

11 Carolyn? She's not here? Okay.

12 Then I've got Guy Franzese followed by
13 Tony Schinpp.

14 MR. FRANZESE: Good evening. My name is Guy
15 Franzese, G-u-y, F-r-a-n-z-e-s-e. I'm an elected
16 official in the Village of Burr Ridge. I'm a
17 trustee. I'm also chairperson of the Village of
18 Burr Ridge Environmental Quality Commission. I've
19 been a Village of Burr Ridge resident for 40 years.
20 And I live 1.7 miles downwind of Sterigenics and
21 I've lived there for 30 years as a guinea pig.

22 Questions on the application. In the
23 Sterigenics permit application Exhibit 199-1,
24 page 9, it is stated that outdoor ethylene oxide's

1 drum storage will comply with NFPA 55,
2 Paragraph 14.

3 For those of you who don't -- aren't
4 familiar with NFPA 55, Chapter 14, it provides
5 industry standards -- codes of standards in the
6 storage, handling, and use of ethylene oxide in
7 sterilization and fumigation applications.
8 Specifically, one element of NFPA 55, paragraph 14
9 provides guidance for the outside storage of
10 ethylene oxide.

11 In my opinion, as a licensed professional
12 engineer in the State of Illinois, those guidelines
13 are weak. How will the Illinois EPA ensure
14 ethylene oxide storage at this facility is
15 accomplished applying the best and safest practices
16 possible?

17 Mr. Brad Musch, engineering director of
18 Sterigenics, is listed as a member of the technical
19 committee overseeing NFPA 55, Paragraph 14. Did he
20 author that paragraph?

21 I'd like an answer to that. You can
22 respond to it later.

23 Again, NFPA 55, Chapter 14, provides codes
24 and standards for storage handling and use of

1 ethylene oxide in sterilization in the fumigation
2 operations. In the event of a leaking drum of
3 ethylene oxide that has been stored outside of the
4 PTE, explain the methods by which these will be
5 detected and also the methods -- or methods which
6 will -- the leak will be contained on-site and not
7 be emitted to the environment.

8 In the event of a leaking drum of ethylene
9 oxide that is inside of the PTE, explain the method
10 or methods by which the leak will be contained
11 inside the PTE and will not be emitted to the
12 environment.

13 Is this purpose -- and these are all
14 additional questions.

15 Does the purpose of this that he proposed
16 to be modified have the capacity to contain and
17 treat a catastrophic drum failure that has occurred
18 and it could occur inside the PTE. If it does have
19 the capacity, why are -- I'm sorry. If it does not
20 have the capacity, why aren't the residents
21 protected? Was a process hazard analysis performed
22 for this scenario of a catastrophic drum failure?
23 If so, what are the recommendations of the process
24 hazard analysis?

1 Thank you.

2 MR. STUDER: Thank you. I was going to ask if
3 you'd consider doing that.

4 Tony will be followed by Yvonne. It
5 looks like -- I can't read the last name.

6 MR. SCHIAPPA: Mayer.

7 My name is Tony Schiappa, T-o-n-y,
8 S-c-h-i-a-p-p-a.

9 Two comments and a question. I am also a
10 trustee with the Village of Burr Ridge. I
11 represent the residents of the Village of Burr
12 Ridge.

13 This application includes outside storage
14 of EtO drums. There is a unanimous consent from
15 the Commission to agree that they find -- that they
16 find any outside storage of EtO unacceptable. It
17 should be noted in the form of a statement. No
18 outside storage of EtO.

19 And the amount of EtO that would be
20 allowed to be emitted per month -- per year was
21 discussed. The Commission agreed that the permit
22 should be clear that it is intended that no more
23 than eight and a half pounds may be permitted per
24 month and that total per year should not exceed

1 85 pounds.

2 And then my question is more for the
3 audience. Do we want Sterigenics to open again?

4 (Audience outburst.)

5 (Chorus of noes.)

6 MR. SCHIAPPA: You've got hundreds of people
7 here that don't want it open. Do your job. Keep
8 them closed. We're scared and we're mad. We want
9 them closed. It's not safe for us. It's my
10 understanding EtO is banned in the European Union.
11 Why can't we be like them?

12 There are other ways to sterilize this
13 equipment. We have self-driving cars. Let's
14 figure it out. Those are my comments. Thank you.

15 (Applause.)

16 MR. STUDER: Thank you. And Yvonne will be
17 followed by Jennifer Hough.

18 MS. MAYER: Yvonne Mayer, Y-v-o-n-n-e,
19 M-a-y-e-r. I've lived in Burr Ridge, less than two
20 miles from Sterigenics, since 2001. Moved to this
21 community right before 9/11. Never thought I would
22 see another devastation like 9/11 and this is our
23 9/11. You're killing us.

24 I want to follow up with a couple of

1 questions that have already been asked which I
2 don't think you guys answered. That exhibit that
3 you asked for -- 2220-A, I think it was -- if you
4 could let us know before tonight is over whether
5 you have it, whether it's part of the application.
6 So if you can have one of your minions start
7 looking or if you look yourself, if you could
8 please find that.

9 Then Ms. Howard stepped up here, and she
10 asked a question about that March 2019 date as the
11 beginning of the 12-month monitoring period, and
12 you basically said oh, it's just March to next
13 April. But I think you missed the point. The
14 point was if you're measuring 85 pounds, and say
15 Sterigenics reopens next January, they're going to
16 just pump it out really fast and furious at a rate
17 much higher than if they had a full 12 months. So
18 you really shouldn't be giving them more than
19 12 months from the day they open. That's when the
20 monitoring period should start.

21 MR. ROMAINE: And for that, beginning the day
22 the monitoring period would require, if -- assume
23 they would reopen -- for that month and then the
24 next 11 months or 12 months total, the emission

1 would have to be no more than 85 pounds.

2 MS. MAYER: But why are you putting -- why did
3 you put that into the permit then? Say that.
4 Instead of starting with March 2019. It doesn't
5 make sense to have March 2019. It gives them
6 another loophole, and we're trying to close all
7 available loopholes. They will come back to you.
8 They will say, "We pumped it out faster than if
9 you'd spread that 85 pounds over a 12-month window.
10 And you allowed us to do it because you put the
11 March 2019 date in there," a date that you should
12 modify.

13 If you really care and you really want it
14 to be 85 over 12 months, just make that change. It
15 doesn't make sense not to.

16 MR. ROMAINE: We will consider the
17 recommendation, the suggestion. However, the flaw
18 that you have identified does not exist.

19 MS. MAYER: Then it will be easy for you to
20 fix it by making it very clear that it doesn't
21 exist. Thank you.

22 MR. STUDER: Thank you. Jennifer will be
23 followed by another Jennifer. It looks like
24 McConahy.

1 MS. HOUCH: Hello. My name is Jennifer Houch.
2 My last name is spelled H-o-u-c-h. I'm a mother
3 and I live 1.8 miles from Sterigenics and sent my
4 two-year-old to preschool within a mile of
5 Sterigenics.

6 Mr. Frost, many months ago, I had several
7 conversations with you and you assured me of my
8 family's safety. Now, Illinois IDPH has confirmed
9 increased cancer cases in our area. Do you still
10 stand by your earlier statements?

11 MR. FROST: I don't believe in any
12 conversation I've had with any resident that I've
13 ever used the term "safe." That is not -- that's
14 not a term that we use. We talked about risk.

15 (Audience outburst.)

16 UNIDENTIFIED PERSON: Liar.

17 MS. HOUCH: Here's my questions. According to
18 the Matt Haller Act, this facility must use the
19 best available technology to reduce emissions.
20 What research has been done to ensure what
21 Sterigenics is using is indeed the safest that's
22 out there?

23 MR. ROMAINE: The Agency has conducted a
24 review and analysis of the technology that's being

1 used and the typical limits in other jurisdictions.
2 The facility would have an incredible control
3 trains to control emissions, in particular the
4 sterilization evacuations, in light of the
5 scrubber, followed by a scrubber, followed by a dry
6 bed absorber, followed by a dry bed absorber.

7 So for the principal source of emissions
8 from the facility, they have a control train with
9 four devices in series.

10 MS. HOUCH: So you know that that's the safest
11 that's available in the nation? That's validated?

12 MR. ROMAINE: Based on our research, that is
13 the case.

14 MS. HOUCH: My next question is where is the
15 data for the dispersion modeling that you refer to?

16 MR. FROST: I think that that's something that
17 we'll have to respond to in the Responsiveness
18 Summary. I don't have it here today.

19 MS. HOUCH: And then who did the dispersion
20 modeling?

21 (Audience outburst.)

22 UNIDENTIFIED PERSON: Sterigenics.

23 UNIDENTIFIED PERSON: Sterigenics.

24 MR. FROST: Sterigenics. And then --

1 (Audience outburst.)

2 UNIDENTIFIED PERSON: Shame.

3 UNIDENTIFIED PERSON: Shame.

4 (Audience outburst.)

5 MR. ROMAINE: The initial dispersion modeling
6 was conducted by Sterigenics.

7 (Audience outburst.)

8 MR. ROMAINE: The Illinois EPA conducted
9 independent audit modeling to confirm that
10 dispersion model.

11 (Audience outburst.)

12 MR. STUDER: Jennifer will be followed by Tom.
13 It looks like Hayden.

14 MS. McCONAHY: Good evening. Jennifer
15 McConahy, M-c-C-o-n-a-h-y. Resident of Burr Ridge.
16 I'm here on behalf of Stop Sterigenics as well as
17 the Burr Ridge Environmental Quality Commission
18 Committee.

19 You're probably well aware that we've had
20 a lot interaction with the federal EPA. I'm
21 wondering what thought has been given to delaying
22 consideration of the permit in light of the fact
23 that the rule-making process for national EtO
24 standards has not yet begun, nor have we received

1 our total risk assessment by the federal EPA.

2 MR. FROST: So as has been mentioned several
3 times tonight, we statutorily, under the law, have
4 90 days to review applications.

5 MS. McCONAHY: That didn't really answer my
6 question, I don't think.

7 MR. FROST: I think you asked for us to delay
8 our decision on the permit. We have 90 days.
9 Under the Illinois Environmental Protection Act, we
10 have 90 days to make a decision on an application.

11 MS. McCONAHY: So my question is, we don't
12 have our full risk assessment, nor has the
13 rule-making process started on ethylene oxide.
14 That's not taken into consideration?

15 MR. FROST: That's outside the scope of the
16 permit.

17 (Audience outburst.)

18 MS. McCONAHY: My other question has to do
19 with the sterilization process. It's been brought
20 to our attention that another chemical, ethylene
21 chlorohydrate, is another gas that sometimes gets
22 made during the sterilization process. It's a --
23 deemed extremely hazardous. Are these emissions
24 being controlled? Are they being monitored? Or

1 are we all just being exposed to another toxic
2 chemical?

3 MR. FROST: The pollution control equipment
4 would work on any VOCs coming out of the facility.

5 UNIDENTIFIED PERSON: Unless they open the
6 door.

7 MS. McCONAHY: Okay. Thank you.

8 (Applause.)

9 MR. STUDER: Thank you.

10 This person coming to the mic will be
11 followed by -- it looks like Joan Anton.

12 MR. LAYDEN: My name is Tom Layden, T-o-m,
13 L-a-y-d-e-n. I am a member of the Environmental
14 Quality Committee of Burr Ridge. I'm a retired
15 physician, a former professor of medicine, and
16 chair of the Department of Medicine at the
17 University of Illinois.

18 I find all of this conversation very
19 difficult.

20 MR. STUDER: Can you speak into the mic a
21 little bit better so that they can hear you in the
22 back and so the court reporter can hear you, too.

23 MR. LAYDEN: Can you hear me?

24 MR. STUDER: Yes.

1 MR. LAYDEN: I find this conversation very
2 difficult and I find it very painful to hear from
3 the citizens of Burr Ridge who have been affected
4 by ethylene oxide. The reality is ethylene oxide
5 is a group one carcinogen. It's in the same
6 category as tobacco and asbestos. We are only
7 beginning to learn more about it. We know that
8 every area where the ethylene oxide is used the
9 cancer risk is enhanced.

10 So secondly, I want to say that in support
11 of the Chicago Medical Society and the Illinois
12 State Medical Society, which made it very clear
13 that there are other forms of sterilization that
14 are available --

15 MR. STUDER: You're beginning to drift.

16 MR. LAYDEN: There are other forms of
17 sterilization that can be used safely, like
18 hydrogen peroxide, and accomplish the exact same
19 thing.

20 Third, for me, it's ethically challenging
21 to discuss these and to continue to spew ethylene
22 outside our schools and homes, maybe at a little
23 bit lower level. It would be like me saying to a
24 patient it's okay to smoke one cigarette, but just

1 don't smoke a pack of cigarettes. It's the same
2 thing. You don't know exactly what the long-term
3 effects of ethylene oxide would be, even at the
4 lower levels.

5 So I ask you, with regards to your model,
6 whether it's going to be a 5-foot stack, an 85-foot
7 stack, do you really know what the cancer risk will
8 be, that they'll be reduced by going to 85 pounds?
9 Do you really know that? I mean, we know it's a
10 carcinogen.

11 UNIDENTIFIED PERSON: They don't care.

12 MR. FROST: So, again, what we use is the
13 ATSDR's IRIS value, their trade value, which is the
14 1 per million based on the IRIS value.

15 But I think -- but we are not the risk --
16 the ATSDR does their risk assessment, and our
17 permitting -- the permitting is based on the new
18 law and then the current laws and applicable
19 regulations. It's not -- it's -- so those don't
20 address risk, but we're -- what we're -- the risk
21 analysis is done is for -- you know, us looking at
22 that, is more from an informational, but we're
23 using USEPA's IRIS value.

24 MR. LAYDEN: Those are laws. They're not

1 science.

2 MR. FROST: USEPA are scientists, yes.

3 MR. LAYDEN: No. I understand they're
4 scientists, but do you know the science of lower
5 levels?

6 MR. FROST: We use -- we use the USEPA's IRIS
7 value. That's the standard that's out there.

8 MR. LAYDEN: Okay. Thank you.

9 MR. STUDER: Thank you. Just for the
10 record --

11 (Applause.)

12 MR. STUDER: They used the term IRIS. It's
13 I-R-I-S.

14 MR. GIACALONE: My name is Joe Giacalone,
15 G-i-a-c-a-l-o-n-e, Jr.

16 I'm just up here for a quick comment.
17 Illinois Environmental Protection Agency. I only
18 have a junior college degree. I'm not well
19 educated like I'm sure you are. But Illinois
20 Environmental Protection Agency, isn't that an
21 agency to protect the environment of the Illinois
22 citizens? Well, help us.

23 I just turned 65 last year. I'm looking
24 for my golden years, to enjoy life in retirement.

1 Right now I'm battling not one, but two forms of
2 non-Hodgkin's lymphoma. When I found out about
3 Sterigenics, I was on this bandwagon before I even
4 had it. Then I was diagnosed in January with one.
5 I fought that battle with four weeks of
6 immunotherapy. I go for my PET scan. They found
7 another one, a second non-Hodgkin's lymphoma.

8 I like my new hairdo, by the way.

9 But, Illinois Environmental Protection
10 Agency, please do your job and protect our
11 residents. I'm a Darien lifelong -- now 28-year
12 resident of Darien. I'm self-employed. I belong
13 to the Willowbrook Chamber of Commerce, Darien
14 Chamber of Commerce. I work out of my house. I
15 have an office. I'm there 24/7.

16 Illinois Environmental Protection Agency.
17 Please protect us. Do not allow this permit.

18 (Applause.)

19 MR. GIACALONE: And if do you allow this
20 permit, Mayor Frank Trilla, I make a proposal that
21 we open up a new Environmental Protection Agency
22 office right next to Sterigenics.

23 (Applause.)

24 MR. GIACALONE: Give you guys a --

1 (Applause.)

2 MR. GIACALONE: -- (Inaudible.) Office.

3 Thank you.

4 MR. STUDER: Judi Kribbs is the next speaker
5 to be on deck and she'll be followed by Caroline
6 Nash. Judi Kribbs? She's coming.

7 MS. KRIBBS MACKOWINK: My name is Judith
8 Kribbs Mackowink, K-r-i-b-b-s, Mackowink,
9 M-a-c-k-o-w-i-n-k. I am a resident of Burr Ridge.
10 And I really have a question.

11 If this stuff was not supposed to happen,
12 why -- I live on a four-house block. Three women
13 have cancer. Two died. Am I the next? Are you
14 going to open up Sterigenics so I can be the next?
15 I can't breathe. I have part of a lung removed.
16 What else is it going to take? My other part of my
17 lungs? You can't open up Sterigenics for any
18 reason. If you do, you're putting a death notice
19 on all of us.

20 Thank you.

21 (Applause.)

22 MR. STUDER: Thank you, Ms. Kribbs.

23 Caroline Nash is coming forward. She'll
24 be followed by Catherine Collins.

1 MS. NASH: My name is Caroline Nash,
2 C-a-r-o-l-i-n-e, N-a-s-h.

3 I have a few statements and questions.
4 You don't have to answer my questions now. So I
5 just want to quote Phil Macnabb, the president of
6 Sterigenics, that you've been working with.

7 Stated last -- actually this week that
8 they're not reporting emissions in Georgia because
9 of problematic lawsuits. So they will do the bare
10 minimum as evidenced by what's happened to this
11 community, or worse, and I would like you to take
12 that into consideration.

13 When I went to the EPA presentation this
14 spring and they didn't receive the appropriate
15 modeling data prior to review, it was very
16 concerning. They talked about a system that would
17 protect us. And in that model that they showed,
18 they showed an increased stack height.

19 I'd like to know how you can have a permit
20 application that has an either/or stack height
21 by -- I think the Village of Willowbrook is
22 somewhere about 40 feet. That's half. That's very
23 concerning. I couldn't do that if I was going to,
24 you know, put something on my home.

1 Number three, Sterigenics asked years ago
2 to remove the back fence because of an explosion
3 risk, and that was stated in documents by Kathleen
4 Hoffman. I would like to know the pressure
5 differential system that you're proposing. It
6 doesn't seem like a big enough pressure difference
7 to protect the community, and if you put in a
8 more -- a better differential for a higher pressure
9 difference -- I'm not a scientist -- then we would
10 have a risk of explosion. And go back to what
11 Kathleen Hoffman stated. They removed those back
12 fence because of the risk of explosion. So
13 obviously it was a different pressure differential
14 than we're looking at now or it puts it at risk
15 either way, by ethylene oxide or by an explosion
16 risk.

17 I'd like to know how you know this system
18 will work. I sat in this room last August and I
19 was reassured that the controls were going to work,
20 evidenced by the ambient air results that we
21 received. We were reassured those controls would
22 work. I thought we would be breathing clean air by
23 now. Your system failed. Their system failed.

24 This is not okay. I'm asking you not to

1 approve this permit not because I'm emotional and
2 upset about this, as the rest of the community, but
3 because it is not safe, it has not been proven
4 safe. This is a company that cannot be trusted.
5 My first statement, they're not even reporting
6 their emissions because of problematic lawsuits.
7 That is not a company that you should be working
8 with behind the scenes and not protecting this
9 community. Thank you.

10 (Applause.)

11 MR. STUDER: Thank you. Catherine Collins is
12 coming to the mic. She'll be followed by Andrea
13 Collins.

14 MS. C. COLLINS: Hello. My name is Catherine
15 Collins. That's C-a-t-h-e-r-i-n-e, C-o-l-l-i-n-s,
16 and I'm going to be a rising senior at Hinsdale
17 Central High School, which is just down the road.

18 So I know in your earlier presentation you
19 said that Sterigenics wasn't going to emit a
20 certain amount of ethylene oxide, but Sterigenics
21 is the company that's logging and regulating that
22 amount. And so I'd like an answer for this. How
23 will you ensure that Sterigenics, which is a
24 company that hasn't been truthful in the past, will

1 truthfully log their emissions?

2 (Applause.)

3 MR. MATTISSON: So as part of the permit, we
4 have a continuous emission monitoring system, which
5 data logs into a system that we have access to. So
6 it's not something that they can change or modify.

7 MS. C. COLLINS: But --

8 MR. MATTISSON: That's not where the document
9 out of a stack emissions --

10 MS. C. COLLINS: But this doesn't only apply
11 to the emissions as well. What they're talking --
12 what you were talking about before with the
13 pressure, Sterigenics is the person -- is the
14 organization that is reporting that to you,
15 correct?

16 MR. MATTISSON: Well, the data is collected
17 through the monitoring system that they install.
18 And then we have the ability and will be looking at
19 that as well.

20 MS. C. COLLINS: And they'll be reporting that
21 date to you, right?

22 MR. MATTISSON: Correct.

23 MS. C. COLLINS: Thank you.

24 MR. STUDER: Thank you.

1 Andrea Collins?

2 UNIDENTIFIED PERSON: Pass.

3 MR. STUDER: Okay. Alexandra -- is it
4 Collins?

5 (Audience outburst.)

6 MS. KAESEBERG: I just want to say something.
7 I would like to take her time that she just
8 yielded. We sat in a -- it's hard to be shocked at
9 this point.

10 UNIDENTIFIED PERSON: Microphone.

11 MS. KAESEBERG: It's hard to be shocked at
12 this point by anything that you guys say. Which
13 I'm really struggling with the fact that you let
14 Sterigenics do that dispersion modeling, and
15 completely, multiple times, have been absolute
16 liars about it. When we sat in a meeting --

17 MR. STUDER: Can you state your name again,
18 just so we have it for the record.

19 MS. KAESEBERG: Sure. Lauren Kaeseberg,
20 K-a-e-s-e-b-e-r-g.

21 We sat in a meeting with officials from
22 the Illinois EPA and the attorney general's office
23 and the governor's office, Willowbrook, Darien --
24 Stop Sterigenics members were there -- when we were

1 told that this consent order was going to be agreed
2 to. And this 85-pound limit was brought to our
3 attention for the first time. And I -- and I'm not
4 crazy. There are other people in this room who
5 were there for this conversation and I need you to
6 have my back on this, that I'm correct. Was
7 85 pounds, that's like a new number. Is that an
8 arbitrary number that you came up with? Why
9 85 pounds?

10 And Illinois EPA officials specifically
11 said, "We did air modeling. We did dispersion
12 modeling. And that's the number we used, the
13 finding out as to the 1 in a million cancer risk."

14 And we said -- I said, "Oh, you did a
15 dispersion model? I thought you guys didn't do
16 dispersion modeling. Can we see a copy of what you
17 guys did?"

18 "Yes."

19 The members of Stop Sterigenics have since
20 then asked for that dispersion modeling data,
21 whatever reports there are, and we have not been
22 given them.

23 For you to sit here tonight and say that
24 Sterigenics did that dispersion modeling -- I don't

1 care if you audited it. Like, what is wrong with
2 you? Honestly. Like what amount of truth --
3 actually, people saying to me -- and I sound like a
4 moron right now because I'm processing this. But
5 to be lied to face-to-face is so offensive after
6 the time that we've all given to this, the money
7 that these communities have spent.

8 It's outrageous. You guys are a complete
9 mockery of what government should be. And I am
10 disgusted. And you're telling us that 85 pounds is
11 the safe amount that gets to us a 1 in a million
12 cancer risk -- which none of us accept that that's
13 okay. But let's just say that that's what's there.

14 So Sterigenics not only has their hand in
15 the legislation by telling IEPA what to veto and
16 not allowed to be in the legislation, but now
17 Sterigenics is actually telling you the safe levels
18 for our community?

19 Like, get people who actually care to do
20 your jobs because you guys aren't doing them. And
21 you don't care enough to sit there and have, like,
22 the decency, then why do you have these jobs? Go
23 work for a Starbucks or a gas station. Go do
24 something that people don't rely on you to protect.

1 (Applause.)

2 MS. KAESEBERG: I need to stop. My time limit
3 is up. I don't know.

4 (Applause.)

5 MR. FROST: I just want to address that. We
6 have modelers at the Illinois EPA. It's standard
7 practice, just as it's standard practice for
8 companies, when they submit their applications, to
9 do certain -- to submit certain information to us
10 and then our staff review and verify that.

11 UNIDENTIFIED PERSON: Why did you lie about
12 it?

13 UNIDENTIFIED PERSON: Why lie about it?

14 (Audience outburst.)

15 MR. ROMAINE: That is a misstatement. I also
16 want to refer people back to the Matt Haller Act.
17 The Matt Haller Act specifically states that it's
18 the duty of the source to perform the dispersion
19 modeling and it's the duty of the Agency to review
20 and determine whether that model is acceptable.

21 UNIDENTIFIED PERSON: If you're doing it, tell
22 the truth and not lie directly to us.

23 UNIDENTIFIED PERSON: Why did you lie about
24 it?

1 UNIDENTIFIED PERSON: Why did you lie about it
2 then?

3 UNIDENTIFIED PERSON: Who are you actually
4 protecting?

5 (Audience outburst.)

6 MR. STUDER: Okay.

7 MR. ROMAINE: I'm cannot speak to a meeting at
8 which I was not present. Were any of us present at
9 that meeting?

10 UNIDENTIFIED PERSON: Yes.

11 MR. STUDER: We've progressed from being an
12 orderly chaos to being more chaotic than order.

13 UNIDENTIFIED PERSON: The gentleman on the
14 left, he was there. He was present.

15 MR. FROST: Let me also clarify something that
16 was said tonight, which we have not said, but it's
17 being attributed to us, which is that this is a 1
18 in a million risk. We said it's close to a 1 in a
19 million risk. We have not the said it was --

20 (Audience outburst.)

21 MS. BACHAN: I'm sorry. I'm sorry. Close to?
22 We're talking about our lives.

23 MR. STUDER: We have 31 people to speak yet,
24 ma'am.

1 MS. BACHAN: Seriously. Though.

2 Does anybody care if I take ten seconds?

3 (Audience outburst.)

4 MS. BACHAN: I have one question. How do you
5 sleep at night? How? Because I grew up here and
6 all of my classmates have been exposed. My family
7 has been exposed. My parents are struggling
8 through cancer.

9 (Audience outburst.)

10 MS. BACHAN: All neighborhoods. Burr Ridge,
11 Darien, Hinsdale, Clarendon Hills, Willowbrook. It
12 goes on and on. Where is the safe zone? 20 miles?
13 50 miles? 100 miles? Because I tell you what.
14 There's Lake County. There's Will Cook. There are
15 places all over here that are throwing ethylene
16 oxide into our air. Illinois Protection Agency?
17 How do you sleep at night?

18 (Applause.)

19 MS. BACHAN: Sleep in my bed. Come to my
20 house. Sleep there and breathe the toxin. How do
21 you sleep at night? Answer me. How do you sleep
22 at night?

23 UNIDENTIFIED PERSON: Safe away from here.

24 UNIDENTIFIED PERSON: Not here.

1 MS. BACHAN: How far do you live? Where is
2 the safe zone? I want to know because I have a
3 four-year-old and a husband and I'm trying to get
4 pregnant and I can't. So tell me where I can live
5 that's safe. And answer my question. How do you
6 sleep at night?

7 My name is Rianna Bachan, B-a-c-h-a-n.
8 Resident since 1987. My four-year old daughter is
9 breathing the same poison that I did at her age.
10 I'm done. All of you are failing us.

11 (Applause.)

12 MR. STUDER: Tom Layden is the next person to
13 speak, followed by Jason Simon.

14 (Audience outburst.)

15 UNIDENTIFIED PERSON: You didn't answer her
16 question.

17 UNIDENTIFIED PERSON: Answer her question.

18 MS. BACHAN: I'm sorry. I want an answer.
19 How do you sleep at night?

20 MR. STUDER: Ma'am, you're outside of the
21 bounds of the permit. But I sleep well at night,
22 not necessarily this -- I didn't sleep well last
23 night, knowing what's the situation here, as if
24 that makes any difference.

1 (Audience outburst.)

2 MS. BACHAN: What town do you live in?

3 MR. STUDER: I don't live here.

4 (Audience outburst.)

5 MS. BACHAN: What town do you live in?

6 MR. STUDER: I live in Springfield, ma'am.

7 (Audience outburst.)

8 MS. BACHAN: Let's find out where the nearest
9 facility is closest to Springfield and if you're
10 downwind because maybe then you don't sleep
11 365 days of the year, like the rest of us.

12 MR. STUDER: Thank you.

13 Is Tom Layden here?

14 UNIDENTIFIED PERSON: He already went.

15 MR. STUDER: He's already gone. He's got two
16 cards.

17 Jason Simon? Jason Simon is not here.

18 Brittany Cummings? Brittany Cummings?
19 She's also not here.

20 Yvonne Mayer?

21 UNIDENTIFIED PERSON: Yvonne Mayer spoke
22 already.

23 MR. STUDER: Yvonne Mayer?

24 UNIDENTIFIED PERSON: Spoke already. Pay

1 attention.

2 MR. STUDER: Rhonda Kooy? Rhonda? Not here.

3 It looks like Mariann Sreniawski,
4 S-r-e-n-i-a-w-s-k-i. No?

5 Steve Leopold?

6 MR. LEOPOLDO: Steve Leopoldo, S-t-e-v-e, last
7 name, L-e-o-p-o-l-e-d-o.

8 I'd like to know where John Kim is.

9 MR. FROST: Directors don't attend permit
10 meetings. The permit staff that work on the permit
11 are the ones that attend permit meetings.

12 UNIDENTIFIED PERSON: This is not any permit
13 meeting.

14 MR. FROST: That's exactly what this is.
15 That's what was requested that the Agency hold, and
16 that's what this meeting is. It's a permit to
17 accept comments on the draft construction permit.

18 MR. LEOPOLDO: I'll submit formal comments,
19 but I have a question regarding seals. Is there
20 such a thing as a 50 percent seal within a total
21 permanent enclosure?

22 MR. MATTISSON: I'm trying to understand your
23 question.

24 MR. LEOPOLDO: Can you have a 50 percent seal

1 within a total permanent enclosure such as when a
2 semi backs up into a loading dock?

3 MR. MATTISSON: So in this, are you asking
4 that the semi backs up to the loading dock?

5 MR. LEOPOLDO: Can that be a permanent seal?
6 Is there such a thing as a 50 percent seal in a
7 total permanent enclosure? Is there -- is it a yes
8 or a no? Can there be a -- is there such a thing
9 as not a permanent -- a total seal?

10 MR. MATTISSON: I'm having a difficult time
11 understanding the actual question as you're
12 phrasing it.

13 MR. LEOPOLDO: Okay. A semi backs up --

14 MR. MATTISSON: Correct.

15 MR. LEOPOLDO: -- to a building.

16 MR. MATTISSON: Correct.

17 MR. LEOPOLDO: Is that a complete seal or is
18 that a partial seal?

19 MR. MATTISSON: It can be designed to have a
20 seal and there would be natural draft openings
21 where there is no seal.

22 MR. LEOPOLDO: So you're telling me a semi can
23 create a complete seal against a dock?

24 MR. MATTISSON: They can be designed with a

1 seal in place, but there would be gaps that would
2 be considered to be a natural draft opening which
3 would be then calculated as part of the permanent
4 total enclosure calculation.

5 MR. LEOPOLDO: Thank you.

6 MR. STUDER: It looks like Kovas McCann.

7 MR. K. McCANN: My name is Kovas McCann,
8 K-o-v-a-s, M-c-C-a-n-n.

9 Please look at some solutions that do not
10 include kids getting cancer.

11 (Applause.)

12 MR. STUDER: Thank you.

13 I have another one for Luke Stifflear
14 here.

15 MR. STIFFLEAR: Pass. She has a couple more.

16 MR. STUDER: I was going to say that name is
17 familiar because I think we called it already.

18 Aleksandra McCann.

19 She'll be followed by Ellen Baer.

20 MS. A. McCANN: Hello. My name is Aleksandra
21 McCann. I am nine years old and I represent
22 children. I do not want EtO. Please protect me
23 and other children.

24 (Applause.)

1 MS. A. McCANN: A-l-e-k-s-a-n-d-r-a,
2 M-c-C-a-n-n.

3 MR. STUDER: Thank you. Ellen will be
4 followed by it looks like David and the last name
5 is Zupancic.

6 MS. BAER: My name is Ellen Baer, E-l-l-e-n,
7 B-a-e-r. I'm here tonight on behalf of the Village
8 of Western Springs. President Gallagher and the
9 Village Board of Trustees want to send their strong
10 support to our neighboring communities, and we
11 appreciate the statements that have been made
12 earlier tonight. We will submit our comments with
13 regard to the permit and its requirements in
14 writing, and we will yield the rest of our time to
15 the other residents who are here to speak tonight.

16 (Applause.)

17 MR. STUDER: Thank you.

18 And he will be followed by Ray Cesca.

19 MR. ZUPANCIC: Good evening. I'm David
20 Zupancic. D-a-v-i-d, last name is Z-u-p-a-n-c-i-c.

21 I'm a retired administrative law judge
22 from the Illinois Department of Employment
23 Security. I was a --

24 MR. STUDER: Can you move to the mic just a

1 little bit.

2 MR. ZUPANCIC: I'm a retired lawyer. I'm a
3 retired administrative law judge with the Illinois
4 Department of Employment Security and former real
5 estate broker. My wife and I live in Darien at
6 1109 Tamarack Drive. There are three houses for
7 sale that have been for sale for quite a few
8 months. No action. No sold signs.

9 I turn down side streets. I see other --
10 three or four other signs. No action. No sold
11 signs. No one is exactly selling houses in Darien
12 to move to Willowbrook. That's the gist of what I
13 want to point out and comment. I believe real
14 estate values have plummeted because of the actions
15 of our Willowbrook Sterigenics location.

16 Sterigenics just has no credibility in my
17 mind. They blame pollution in the air on
18 Interstate 55. They go for seal verdicts and seal
19 court orders. They have done nothing to increase
20 their credibility since 1980. And you've heard the
21 other speakers. I agree very much with what our
22 elected officials and our representatives have
23 said.

24 I feel sorry for the employees, the

1 government employees of Willowbrook. There's a --
2 their office is a block away from Sterigenics. I
3 mean, you know, you can say about shortcomings of
4 various officials.

5 But I thank you, the EPA, the Illinois
6 EPA, for your services here tonight and the
7 services of the young ladies working for your
8 organization. Thank you very much.

9 (Applause.)

10 MR. STUDER: Thank you.

11 And on deck will be it looks Yon Lee.

12 MR. CESCA: I'm Ray Cesca, C-e-s-c-a, from Oak
13 Brook, Illinois. And I do represent an
14 organization called the human race.

15 One year ago this past July, the EPA
16 stated that it was returning to its core mission of
17 protecting human health and the environment. In a
18 press release EPA also stated that it's committed
19 to providing clean air and safe water -- safe air,
20 water, and land for all Americans.

21 Now I'm asking that you get on with your
22 mission and not sign a construction permit to allow
23 Sterigenics from opening again in Oak Brook, if
24 they even consider using ethylene oxide as a

1 sterilization agent.

2 Now, you heard Mayor Grasso talk about
3 alternatives, and you said, oh, no. This is the
4 best one. Well, over the past decade many
5 hospitals have successfully moved away from the use
6 of ethylene oxide due to its toxicity, cost, and
7 inefficiency.

8 Early implementers include Mary Hitchcock
9 Memorial Hospital in Lebanon, New Hampshire. It
10 documented its efforts in 2002. This hospital
11 implemented use of both peracetic acid and hydrogen
12 peroxide plasma devices and was able to
13 significantly reduce, if not eliminate, its
14 reliance on ethylene oxide.

15 In 2008, the Kaiser Health System, the
16 country's largest nonprofit health plan and
17 delivery system, documented its effort to reduce
18 their ethylene oxide burden.

19 By 2014, St. Joseph Hospital and Medical
20 Center in Phoenix demonstrated even further success
21 in reducing of ethylene oxide's sterilization
22 usage. St. Joseph was able to eliminate
23 100 percent of its use on ethylene oxide by
24 substituting it with a hydrogen peroxide

1 sterilization system. After implementation, they
2 were able to increase the output of sterile devices
3 by 250 percent.

4 In many Chicago-area hospital systems
5 there have been or has been a large shift away from
6 ethylene oxide consistent with the above-mentioned
7 efforts. Advocate Good Samaritan, right here in
8 Downers Grove, and the entire Advocate system,
9 shifted away from ethylene oxide approximately a
10 decade ago.

11 Saint Anthony Hospital in downtown Chicago
12 eliminated use of it in 2014. And Swedish Covenant
13 Hospital terminated its use in 2015. Additionally,
14 the Agency for Toxic Substances and Disease is
15 working now with the Villages of Willowbrook, along
16 with the DuPage County Health Department, the
17 Illinois Department of Public Health, and the
18 U.S. Environmental Protection Agency, including
19 yourself, to determine whether ethylene oxide
20 released into the air from the Sterigenics
21 International facility may further cause health
22 problems in people who live in the Willowbrook
23 community.

24 So we need to let them play out their

1 ongoing research before allowing any license to be
2 awarded. My gosh. How can we turn a blind eye on
3 research?

4 So in summary, the job is not done yet.
5 The EPA's stated mission is to provide clean and
6 safe air for all Americans, not modified air or a
7 little toxic air, but clean air.

8 (Applause.)

9 MR. STUDER: Thank you.

10 MR. CESCA: There is also much needed research
11 to be done by the Agency for Toxic Substance and
12 Disease. And finally, a detailed review of all of
13 the proven safe alternative systems that are
14 available.

15 So based on that, please do not approve a
16 construction permit until all of the work is done.

17 (Applause.)

18 MR. FROST: I just want to mention because
19 several people -- first, there are improvements
20 always ongoing where there are new sterilization
21 processes that come along, and FDA, you know, is
22 looking into that and that's all very good.

23 And as has been mentioned several
24 times, for certain things there are alternatives.

1 There's -- the company would not be able to provide
2 a certification if there is an alternative.

3 (Audience outburst.)

4 MR. STUDER: Is Yon Lee here?

5 (Audience outburst.)

6 UNIDENTIFIED PERSON: What did you just say?

7 MR. FROST: Under the new law the facility is
8 required to provide a certification for if it wants
9 to -- a certification that ethylene oxide is --

10 Evan, can you put the language up?

11 UNIDENTIFIED PERSON: Have they done that?

12 MR. FROST: No. They haven't --

13 (Audience outburst.)

14 UNIDENTIFIED PERSON: There are alternatives.

15 MR. FROST: Yes. That's my point. If there
16 are alternatives, they would not be able to provide
17 a certification, as required by the law.

18 UNIDENTIFIED PERSON: Have they provided a
19 certification?

20 MR. FROST: They do it -- they do it on the
21 products.

22 UNIDENTIFIED PERSON: Have they done that?

23 UNIDENTIFIED PERSON: No.

24 MR. FROST: They haven't -- they haven't --

1 they're not --

2 UNIDENTIFIED PERSON: They, they, they, they.

3 MR. FROST: They're not sterilizing anything
4 right now. They provide the certification before
5 they can sterilize. That certification is not a
6 part of the permit.

7 UNIDENTIFIED PERSON: Well, make it. Make it
8 part of the permit.

9 UNIDENTIFIED PERSON: It's an exception.

10 UNIDENTIFIED PERSON: It's part of the law.

11 (Audience outburst.)

12 MR. FROST: It is part of the law, and they
13 have to comply with it. That's my point. They
14 have to comply with it. It's not part of the
15 permit. It's part of the law, and they will have
16 to comply with it.

17 UNIDENTIFIED PERSON: So the law is amended to
18 include --

19 MR. STUDER: Okay. We're speaking from out
20 here and it's not going to be on the record because
21 the court reporter doesn't have it. The responses
22 will be. But you're going to get a response
23 without the question, is how that works. So that's
24 not a good way to do this.

1 MS. HOWARD: Can I ask a real quick question?

2 MR. STUDER: However, I do want to state that
3 that's a lot of people that have comments and
4 questions. And I mean, we've still got 19 people
5 to go in 20 minutes. We're not going to get
6 through everybody tonight. I do remind you that we
7 do have a comment period open, and you can also ask
8 questions in that comment period. I encourage
9 everyone that has questions tonight to do that.

10 We do have to respond to those in writing,
11 and that will also include some -- or it will
12 include everything that was also done during this
13 hearing.

14 MS. HOWARD: Is there any chance we'll get
15 some of these answers before the --

16 MR. STUDER: Okay.

17 MS. HOWARD: -- period is done so we can
18 respond to those answers? That's just a simple
19 question.

20 MR. STUDER: The question, as I heard it was
21 this, can you get something before the comment
22 period ends? And I don't know what you're -- what
23 you're asking when you say something. I mean --

24 MS. HOWARD: Some of the questions tonight.

1 (Audience outburst.)

2 UNIDENTIFIED PERSON: Can we get a --

3 (Audience outburst.)

4 MR. STUDER: Wait a minute. Wait a minute.
5 We're getting out of hand again. Because it's
6 going to be tough --

7 MS. HOWARD: The questions asked tonight.

8 MR. RAO: Can we get an ETA on the answers for
9 the questions asked tonight?

10 UNIDENTIFIED PERSON: Before the permit.

11 MR. FROST: All questions and comments we will
12 respond to in the response to comments. I mean, to
13 the extent --

14 UNIDENTIFIED PERSON: When?

15 UNIDENTIFIED PERSON: When?

16 MR. FROST: That's issued concurrent with our
17 decision.

18 (Audience outburst.)

19 MR. STUDER: So the issue needs to be, if you
20 start shooting at a moving target, is part of the
21 problem. The other thing is that it also causes
22 some other issues as far as comments on comments
23 and several other issues.

24 UNIDENTIFIED PERSON: Inconvenient lawsuits.

1 MR. STUDER: Slavka -- I'm horrible at --

2 UNIDENTIFIED PERSON: Slavka?

3 MR. STUDER: She's not here?

4 UNIDENTIFIED PERSON: She's right here.

5 Slavka Jancikova.

6 UNIDENTIFIED PERSON: She's here.

7 MR. STUDER: She is here?

8 UNIDENTIFIED PERSON: That's you, Slavka.

9 That's you.

10 MR. STUDER: If she's here, she can come to
11 the microphone.

12 MS. JANCIKOVA: I will pass my time to someone
13 else.

14 MR. FROST: We have a whole stack of people
15 here who have not --

16 UNIDENTIFIED PERSON: Just go.

17 MR. FROST: Someone else can go.

18 (Audience outburst.)

19 MR. STUDER: I just didn't hear you.

20 UNIDENTIFIED PERSON: Katherine, go.

21 MR. STUDER: Bob Wahab?

22 MS. CAMARENA: I would like to take Slavka's
23 time if possible.

24 MR. STUDER: We can't do that. We've got a

1 bunch of other people that are ahead of her.

2 (Audience outburst.)

3 MS. JANCIKOVA: You said we could do that at
4 the beginning.

5 MR. STUDER: Right. But the issue is --

6 (Audience outburst.)

7 (Unreportable crosstalk.)

8 MS. JACIKOVA: Take my time.

9 MS. CAMARENA: You can count me as Slavka.

10 MR. STUDER: You can come in at the end if we
11 have time.

12 MS. JACIKOVA: Stop wasting the time. Just
13 go.

14 MS. CAMARENA: I can have her read my
15 questions.

16 MR. STUDER: Okay. Two minutes.

17 MS. CAMARENA: I didn't plan on speaking
18 tonight, but since we're talking about
19 alternatives --

20 MR. STUDER: Spell it for the court reporter.

21 MS. CAMARENA: Excuse me. Katharine Camarena,
22 K-a-t-h-a-r-i-n-e, Camarena, C-a-m-a-r-e-n-a.

23 I had e-mailed several times and never got
24 a response back from Illinois EPA regarding the

1 criteria that was certified, a product to be
2 appropriate for ethylene oxide. I had some
3 concerns about that.

4 So I'll read my questions that I had
5 e-mailed and I didn't get a response to, and
6 perhaps I can get a response in this avenue here.

7 I would like know -- and you can answer
8 these in writing, as well -- who will be drafting
9 the criteria to certify that a product is only
10 ethylene oxide appropriate?

11 My second question is, what criteria must
12 be met to certify a product as ethylene oxide only?

13 My third question is, will these criteria
14 be modified as new sterilization methods are
15 approved for use in -- such as the efforts of the
16 FDA Innovation Challenge.

17 My fourth question is -- I had a lot of
18 e-mails that you guys didn't write me back. Even
19 though a supplier device has been FDA-approved with
20 ethylene oxide sterilization, but would be
21 appropriate for alternatives, will implementing the
22 safer alternatives be a requirement?

23 A sub-question to that is, will
24 manufacturers and suppliers be required to submit a

1 PMA supplement for sterilization method change if
2 an alternative is found to be an appropriate
3 substitute?

4 I have two more questions, and then I'm
5 done. For permeability issues, supply kits and
6 packs, for example, will changing their outer
7 packaging be taken into consideration?

8 And my last question is, who is
9 participating in the process of drafting these
10 certifications? Thank you.

11 UNIDENTIFIED PERSON: Twenty seconds to go.

12 MR. STUDER: Thank you. You did that very
13 well.

14 MR. FROST: Do you want me to respond to those
15 now or do you want them in writing? Because you've
16 got --

17 MS. CAMARENA: It's up to you, whatever your
18 time will allow for.

19 MR. FROST: I'll try to provide a real short
20 answer, and then we'll expand on that.

21 In general, what you're describing is the
22 language of the law is that the supplier has to
23 provide the certification. If you grab my
24 preparation from the table over there, it has the

1 language of the law. The supplier has to provide
2 the certification.

3 And then you also had talked about
4 alternatives. Well, if there's an alternative --
5 that's what I was talking about just now. If
6 there's an alternative, they will not be able to
7 provide the certification. So if there's something
8 new that comes on the market, they won't be able to
9 provide the certification if it treats a certain
10 device.

11 MR. STUDER: Okay. Michael Ploskonka?

12 Amir Vafa?

13 MR. VAFA: How's it going? Last name is Vafa,
14 V-a-f-a. First name, Amir. First, regarding the
15 certification, I was under the assumption that
16 that's only if they're under a seal order and if
17 they negotiate -- the way a seal order is that they
18 don't need certification anymore.

19 MR. FROST: So they're currently under a seal
20 order. And, you know, I'm not here tonight -- I'm
21 here tonight to talk about the permit. I can't
22 really talk about the consent order.

23 MR. VAFA: Okay. The other thing is there's
24 dispersion modeling that needs to be done. Can the

1 EPA say, you know, this is too harmful a dispersion
2 model and we're not going to give you the permit?
3 Is that a possibility or no? Like let's say the
4 dispersion model pumped out of 20,000 pounds into
5 the air or something. It was something that was
6 not acceptable. Could the EPA then deny the permit
7 and say you can't operate?

8 MR. ROMAINE: The answer is yes. We can issue
9 a seal order. We cannot issue a permit if there
10 are unhealthful impact of EtO levels in the
11 facility.

12 MR. VAFA: Okay. So the current dispersion
13 model was with an 87-foot stack, correct? That was
14 the best way of dispersing everything. Since they
15 don't have a permit for that, can't the logic be
16 you don't have a permit for an 87-foot stack. Your
17 dispersion model is really not that good, so permit
18 denied?

19 (Applause.)

20 MR. FROST: What Chris was just describing are
21 things outside of the permitting transaction.

22 MR. VAFA: So you can potentially do the
23 permit and then tell them yeah, your dispersion
24 model isn't good. You don't have this permit?

1 You know, it's just, to me -- so let me
2 just put it a different way. If I wanted to open
3 up a factory in my garage and I needed an 87-foot
4 stack, I would think that if I didn't have the
5 permit for that, the EPA would say, yeah, you can't
6 really do that. Because you're not really
7 dispersing the stuff well.

8 So just I was just wondering if that train
9 of logic would work and you would deny it.

10 MR. ROMAINE: That train of logic would only
11 work if Sterigenics was not prepared to submit
12 dispersion modeling at the height of stack that
13 they can get approved by the Village of
14 Willowbrook. Or if they did conduct such modeling
15 and the height of the stack provided by the village
16 of Willowbrook, it would still be (inaudible).

17 MR. VAFA: Okay. And then the last thing, and
18 this is something you can submit writing is, how do
19 you measure the 85 pounds? Since there some
20 uncertainty about this continual monitoring and
21 whether it's actually going to work, do you just
22 take how much is coming out of the stack and
23 2 parts per million, or whatever it is, multiply it
24 by year, and say it's 85 pounds or 100 pounds? Or

1 I mean, it just seems like it's difficult if you
2 don't have been the exact science of what's going
3 out.

4 MR. MATTISSON: So the monitoring system will
5 not only have the system to measure on-site as a
6 concentration, but it also will have a flow
7 monitor. So once you have flow, you know the area
8 of the stack and you have a volume. Once you have
9 a volume, you will know how many per minute is
10 pumping.

11 MR. VAFA: So there can be --

12 MR. MATTISSON: So mathematically you will be
13 able to know exactly what's coming out of that
14 stack based upon that monitoring system.

15 MR. VAFA: And then one last thing. I'm
16 really sorry I'm going over. Is that for -- it
17 said that they needed a dispersion model, but
18 there's really no model of -- I mean there's no
19 real law or anything that says what's acceptable
20 and what's not. It just says 2 parts per million
21 or 99.9 percent reduction or something like that.

22 Where is the criteria of, like, what would
23 be acceptable and what wouldn't in case the 40-foot
24 stack or whatever they have now is not good enough?

1 MR. MATTISSON: So USEPA, you know, looks at
2 the risk level scenario. They look at rule,
3 regulation. They look at 1 in 10,000 risk.
4 Through our permit transaction and the limits
5 imposed of the stack on an annual basis, we were
6 far, far below that.

7 MR. VAFA: Thank you.

8 MR. STUDER: Okay. Thank you. Robert Thomas
9 and he'll be followed by Mary Bradley. Is Robert
10 here?

11 Robert, not here.

12 Mary Bradley?

13 Mary Bradley is not here. There's another
14 one from Robert Thomas.

15 Rebecca Palisoc. And she'll be followed
16 by Amber McFarlin, it looks likes.

17 MS. PALISOC: Hi. My name is R-e-b-e-c-c-a,
18 P-a-l-i-s-o-c. I'm a 31-year resident --

19 MR. STUDER: Could you speak into the mic a
20 little bit?

21 MS. PALISOC: I am a 31-year resident of
22 Darien, and in those 31 years, I have unfortunately
23 had to witness my mother be diagnosed be breast
24 cancer twice. And she did the BRCA test and she

1 doesn't have any of the traits for it, which leads
2 to us believe that it is environmental.

3 My question is going back to something
4 that you had said earlier about the word "safe."
5 Unfortunately, I had to walk out of the room
6 because I'm here with my newborn son. I was
7 wondering if you could repeat what you said about
8 the word "safe."

9 MR. FROST: So what I said is as an Agency
10 both at the state level and I can speak for the
11 USEPA, we don't use that terminology. We talk
12 about risk. So people have said the word "safe."
13 That's not a terminology that we use as a
14 regulatory agency. We use the term -- we use "risk
15 assessment."

16 MS. PALISOC: I think given their storied
17 history of toxic spills in Lisle and outrageous
18 numbers being spilled in Willowbrook and into
19 Darien, I think it's absurd -- the height of
20 absurdity that we're even here discussing a permit
21 for them to reopen while not being able to use the
22 word "safe."

23 (Applause.)

24 MR. FROST: Can I just mention something? So

1 it's not that there aren't levels, as Kevin had
2 mentioned, there's USEPA's 1 in 10,000. And at
3 this, we're getting them down close to 1 in
4 million. So those are terms -- those are
5 assessments that we looked at to determine -- to
6 kind of try to look at that. But it's just not
7 that terminology we use.

8 MS. PALISOC: I think that until it is, I
9 don't think that there needs to be any discussion
10 about a permit for them to reopen. That's my
11 comment. Thank you.

12 MR. STUDER: Thank you.

13 Amber McFarlin, is she here?

14 UNIDENTIFIED PERSON: Yes.

15 MR. STUDER: And she'll be followed by -- it
16 looks like I'm going to try and say it's Ann Swank
17 or Swunk.

18 UNIDENTIFIED PERSON: Stuart.

19 MR. STUDER: Okay. Anabel McFarlin,
20 A-n-a-b-e-l, M-c-f-a-r-l-i-n.

21 So I have a question as I sit here and I
22 listen to everyone, of course I have new questions.
23 One question before I proceed to my questions is
24 where is CMS located? On the stack?

1 And please make it quick. Thank you.

2 MR. MATTISSON: So the continuous emission
3 monitoring will be located on the stack prior to it
4 exiting.

5 MS. MCFARLIN: So my question then is, your
6 modeling is based on what comes out of the stack,
7 but every time something pulls up, something gets
8 unloaded and reloaded, there is dispersion. There
9 is a chemical. How do you monitor that?

10 MR. MATTISSON: That's contained within the
11 permanent total enclosure and all the initiatives
12 are contained within the building --

13 MS. MCFARLIN: Pardon me. Right.

14 So the question that Mr. Leopoldo asked
15 you earlier is that a whole seal is not possible.
16 So clearly, that's not possible. Can we agree on
17 that?

18 MR. MATTISSON: So there's a natural draft
19 opening.

20 MS. MCFARLIN: Right.

21 MR. MATTISSON: So within the method 204
22 you're allowed to have an opening that -- provided
23 that it meets the criteria.

24 MS. MCFARLIN: I understand, but that releases

1 EtO into the atmosphere and no one is monitoring
2 it.

3 MR. MATTISSON: No. It's under negative
4 pressure so it's not entering the atmosphere.

5 (Audience outburst.)

6 MS. MCFARLIN: So I don't want to keep going
7 on this. I have a couple of other question. But
8 as we agreed EtO gives off gas, and that happens
9 for days. So when it moves, EtO moves with it.
10 And that's something you can't control and no one
11 with is measuring. And that's an issue. It's just
12 an issue. You're asking -- you're asking to
13 approve a permit for a company that cannot control
14 its emissions. That's the point. So the
15 permitting in and of itself is moot. There's no
16 point to your permit.

17 But moving on. You also stated in the
18 permit that they're allowed to run 24/7, or at
19 least in the drafts I've read. My question is,
20 because I am in research. Marketing research, but
21 still research. And when I do research, and I do
22 polling and I think about what something means, and
23 I do reference it, it matters, the source
24 information that I'm recessing matters.

1 So my question to you is this. There are
2 no chronic studies. There's only acute exposure.
3 It's eight hours, I believe. So how do you model
4 without data? How? Somebody please explain this.

5 Because I have not seen a study that talks
6 about chronic exposure in humans and you're asking
7 to run it chronically, 24/7.

8 MR. FROST: So the permit contains limits.

9 MS. MCFARLIN: Right.

10 MR. FROST: And then you do your dispersion
11 model based on those limits in the permit.

12 MS. MCFARLIN: Right. And your concern is
13 with risk, human risk. How are you assessing that?
14 Are you even qualified to do that?

15 MR. FROST: Well, I didn't do that assessment.
16 We have modelers at the Agency whose job is to do
17 modeling.

18 MS. MCFARLIN: I understand, but, again, not
19 to belabor this point. You're talking about human
20 risk. Right? You're talking about human risk. So
21 when I've done research, I look at base data and I
22 make decisions based on base data.

23 My question to you is, you don't have any.
24 So how are you modeling 24/7 emissions in a

1 community where there is no study -- and if you
2 have a study that says it knows the outcome of
3 chronic exposure, I'd like you to cite it.

4 MR. ROMAINE: I think you're asking -- we're
5 having a failure to communicate your question. I
6 don't think it's going to benefit us if we try to
7 elicit it other than to simply say we rely on the
8 information from USEPA on concentrations that have
9 a chronic risk. Using that information of
10 concentration and chronic risk and what level the
11 risk is, we can then use dispersion modeling to see
12 what the concentration is as a result of the
13 Sterigenics facility that was in operation and
14 controls.

15 MS. MCFARLIN: And so not to prolong this line
16 of questioning, but where are you getting the data
17 for the chronic risk?

18 MR. ROMAINE: As we've explain in the slide,
19 we're getting it from the USEPA and their risk
20 intervention system.

21 MS. MCFARLIN: I understand. But where is it
22 being measured?

23 So I understand what you're saying to me
24 and I understand what we're talking about. And I

1 understand that you're a scientist. But as a rule
2 there are other scientists who believe humans
3 should not be exposed. EPA for a number of years
4 called it a probable carcinogen.

5 In 2006, a EtO panel said that it was a
6 known carcinogen, but they didn't move on that.
7 They waited until 2016 to do something and to say
8 that it's a known carcinogen. Then they went and
9 developed new numbers, and now you're telling me
10 that I have to -- I live and work here. So I'm
11 here 24/7, too, and you're telling me that somehow
12 the model was wrong. The base, the thresholds were
13 wrong. Now you have new thresholds. You're
14 confident in them. But yet, I'm not sure what
15 makes you so sure.

16 MR. ROMAINE: I think you're confusing the
17 dispersion modeling with the risk value.

18 MS. MCFARLIN: I know I'm out of time. I know
19 I'm out of time. But I want to make sure that
20 we're clear. Dispersion modeling talks about how
21 much is dispersed, how much of the product is
22 dispersed.

23 And what you're -- what we're trying to do
24 is approve a permit, right? Your role is to ensure

1 that it's the least amount of risk to human health
2 and the environment. And I'm merely suggesting
3 that your dispersion model is flawed because you
4 have no way of knowing the answer.

5 That's my point. And I apologize for
6 taking so much time. Thank you.

7 (Applause.)

8 MR. STUDER: I'll try to say the last name.
9 Swank. Okay. She's not.

10 It looks like M. Headington. She'll be
11 followed by Vince Headington.

12 I do want to point out also that we are at
13 9:00. So we are going to have to move along.
14 We've got about eight people and I really would
15 like to give everybody an opportunity to speak.
16 But we do have a set time to be out of the
17 building. So go ahead.

18 MS. HEADINGTON: To get to faster. Because
19 I'm a former director on the Board of the Illinois
20 Environmental Council where I served for six years.
21 And I know something about toxics, and I had
22 planned on going through something I had prepared
23 for most of today.

24 And I am willing to give that up if you'll

1 allow somebody who knows more than I do on this a
2 question. Because I need her help. And that's
3 Katherine Howard. She has one question, and you
4 don't have to put up with me. I want her question
5 answered because she is a hero here. If you watch
6 CBS News, Dave Savini, she is a hero. She is
7 quoted over and over. I think we owe her that
8 respect, and I want Katherine to be able to ask her
9 question.

10 MR. STUDER: If it's one question, I'll allow
11 it.

12 If you can state your name and spell your
13 last name for the record. Thank you.

14 And if you have something that you wanted
15 to read and you want to turn it in, we'd also
16 accept that so that it's in the record. Or you can
17 submit it in writing during the comment period.

18 MS. HEADINGTON: You would have enjoyed it.
19 But you'll get it either way with her questions.
20 Thank you very much.

21 MS. HOWARD: Katherine Howard,
22 K-a-t-h-e-r-i-n-e, Howard, H-o-w-a-r-d.

23 My question goes back to
24 the permit. And in most of the items where you're

1 monitoring, you're looking at averages. Now, we
2 all know that averages, you're going to get some
3 low numbers. And you're going to get some really
4 high numbers. And then you're going to take an
5 eight-hour average or a three-hour average.

6 My question is, when those high numbers
7 are there, how much is going out? If you're
8 relying on averages, then that means there are
9 times when those numbers going out could be
10 extremely high, followed by times when they're very
11 low. Your water levels, your liquid levels when
12 dispersed high, low. When they're low, EtO is
13 escaping.

14 So I'm not sure I understand where you're
15 saying with continuous monitoring and everything
16 else, because that's based on averaging. And we
17 can look at those numbers and we can see that
18 they're not consistent. They range.

19 So that's my question. Is asking you
20 guys, do you have something better than averages?

21 MR. MATTISSON: Bless you.

22 We average because that's going to give us
23 better data.

24 MS. HOWARD: No, it's not. It's going to give

1 you easy data. It's not going to give you better
2 data. It's going to give you data that the company
3 can use and manipulate.

4 MR. MATTISSON: So when you're saying high and
5 low in the extremes, they are so low you can't have
6 a really high number and then average it low
7 because the values are so low that they have to
8 maintain.

9 MS. HOWARD: But you you're still not going to
10 get realistic emissions going out. You're going to
11 get averages. You're going to base everything off
12 of averages?

13 (Audience outburst.)

14 (Applause.)

15 MR. STUDER: Thank you. Is Vince Headington
16 here? And he'll be followed by Sue Kamula.

17 MR. HEADINGTON: My name is Vince Headington.
18 I am a health care attorney. I live --

19 MR. STUDER: Vince, can you spell your last
20 name for the record, please.

21 MR. HEADINGTON: H-e-a-d-i-n-g-t-o-n.

22 MR. STUDER: Thank you.

23 MR. HEADINGTON: I live in Burr Ridge and have
24 the last 27 years. I'm also a member of the health

1 care section council of the Illinois State Bar
2 Association. And I don't pretend to be a
3 scientist, but I do know in listening to what's
4 going on here today that we have recent legislation
5 in June of this year. So what we're getting is
6 less poison, but poison nonetheless.

7 And it's like telling the people of Flint,
8 Michigan, well, we're giving you water, but there's
9 just a little bit of lead in the water and that's
10 what we're here today hearing.

11 The plan for an enormous stack is not
12 innovative. It is old school. It's otherwise
13 known as "not in my backyard." And so while there
14 may be less emissions that affect Willowbrook and
15 Burr Ridge, where I live, there's somebody else
16 this is going to have this poison in their air.

17 And there's plenty of blame to go around
18 on this. The Illinois EPA has known for years
19 about cancer risks in Willowbrook, first from a
20 probable carcinogen, now to a definite carcinogen.
21 We have the testimony of in this -- this afternoon
22 of more than one physician about the dangers of
23 this. We have the Illinois State Medical Society
24 that has come out and said that EtO is dangerous.

1 And this makes a lot of sense because for a
2 physician, the rule is first do no harm. What we
3 have here is a permit to do harm. Thank you.

4 (Applause.)

5 MR. STUDER: Thank you. Sue will be followed
6 by Denise. It looks like Hoepner.

7 UNIDENTIFIED PERSON: Can you go through the
8 other people? I want to make sure everybody has
9 time.

10 MR. STUDER: Okay.

11 Is Denise Hoepner here? She'll be
12 followed by Charlotte Krueger.

13 MS. HOEPNER: I don't like speaking in front
14 of a microphone. My name is Denise Hoepner,
15 H-o-e-p-n-e-r. D-e-n-i-s-e is the first name.

16 First, I want to thank you all at the
17 forefront of this fight. I'm so thankful that --

18 UNIDENTIFIED PERSON: We can't hear you.

19 MS. HOEPNER: I am so thankful that you are
20 here, fighting for this community, and I'm really
21 appreciative of that, number one.

22 And I thank you for being here answering
23 our questions, as well. I hope that you really
24 listen to our hearts and to our concerns because we

1 have a lot of them. And we have a lot of evidence
2 showing the devastating effects of what EtO has
3 done to our families. Me personally I have a brain
4 tumor as well. It was the size of a baseball,
5 about this big (indicating) in my head. I had
6 seizures. I have gone through -- I still have
7 devastating effects from it. I can't -- there's a
8 lot of things that I still can't do.

9 And I fear that when this is allowed again
10 that I'll get another one. I don't want to do that
11 again. It was awful. I'm still dealing with that
12 from 2010. So I just -- I don't understand some
13 things and part of that is from the surgery that
14 I've had. But I'm trying to understand. Is there
15 only one time of year that you guys are going to be
16 monitoring what they've done? You're only going to
17 check in on them once a year?

18 MR. FROST: So they have a -- the permit
19 requires continuous emission monitoring. So as
20 Kevin said, there's a log on it. Then the law
21 requires us to inspect them once a year, yes. So
22 an inspection by our staff once a year where we go
23 through the facility and we check.

24 Now, there's also recordkeeping and

1 reporting and requirements that are more frequent.

2 MS. HOEPNER: If their history has been lying,
3 though, how can you trust that? How could you
4 trust that? This you're giving them this permit,
5 you're making yourself liable for allowing them
6 this when we know that they're not honest people.

7 So I'm just curious to know how you're
8 going to really monitor that.

9 MR. FROST: An inspector, when they go through
10 the logs, you know, and the reports that they
11 submit, you can -- you can tell.

12 (Audience outburst.)

13 MR. MATTISSON: So when our inspectors go out,
14 they go through the conditions of the permit to
15 make sure that they're complying with those
16 conditions of the permit. So they'll make sure
17 that the records are being kept and they'll
18 evaluate those records and compare those to the
19 information that they're required to have. That is
20 mandatory once a year, right. But as Brad said and
21 I said earlier, it continues with emissions
22 monitoring that is continuously monitoring
23 emissions off that stack.

24 (Audience outburst.)

1 UNIDENTIFIED PERSON: Off the stack. Not the
2 open garage door.

3 MS. HOEPNER: Is there something that -- I'm
4 just curious to know --

5 MR. STUDER: Could you speak into --

6 MS. HOEPNER: -- because it does make me
7 question. Like I don't trust Sterigenics, but I'm
8 having a hard time even trusting people that are
9 monitoring them because it doesn't seem like you're
10 on -- I feel like I'm not -- I don't have anybody
11 to depend on except for the community that's
12 fighting for all of us.

13 (Applause.)

14 MS. HOEPNER: And I want to know what are you
15 going to do to our trust? Because right now, we
16 don't really have that. And I think a good step in
17 that direction would be to decline this permit. It
18 would be at least a step to say, "We listened to
19 you."

20 Because I mean, we're scared. We have --
21 I know a lot of people who have had cancer. I know
22 a lot of people that have had tumors. I've had it.
23 I experienced it. I still suffer from it. I don't
24 want to do that again. I'm terrified to do that

1 again. It terrifies me.

2 And I want you to really think about this.
3 Please picture yourself in this community. Think
4 of your families in this community. Would you
5 approve it if you were living here? Would you
6 approve it if your family were living here?

7 Please just think that through very
8 carefully because we're concerned. Thank you.

9 (Applause.)

10 MR. STUDER: Thank you.

11 And Charlotte is coming. She'll be
12 followed by Cathleen O'Hare.

13 MS. KRUEGER: Thank you for working overtime.
14 My name is Charlotte Krueger, K-r-u-e-g-e-r.

15 I built my home in '79. In '08, I was
16 diagnosed with breast cancer. In '15, I came back
17 with stage IV cancer: Rectal, liver, and kidney.
18 I've been on chemotherapy for seven hours every
19 other Monday for the rest of my life. I think it's
20 because of where I live.

21 I've been a real estate for 36 years and I
22 have seen that our values of our houses are going
23 to go down because questions are asked for
24 Hinsdale, Darien, Willowbrook, Burr Ridge. This is

1 also part of the problem of Sterigenics. Is the
2 value of what we're losing on what we live in.

3 I have been vice president of my
4 association where I live in Timberlake since 1990.
5 There are lots of us in Timberlake. We have about
6 1500 people. There's a lot of us that have cancer
7 because of where we live.

8 Our you guys voting tonight if you're
9 going to give them a permit? Can we go home and
10 say, "Hurray, we won. We're not going to have this
11 problem any longer"?

12 Are you going to vote tonight?

13 MR. FROST: So, first of all, there is not a
14 decision made tonight. We have a comment period
15 that remains open until August 15. Then we will
16 review those comments and we will make a final
17 decision. We have 90 days from the date of the
18 application to make a final decision, but our
19 decision is not a vote. Our decision is based on
20 whether the application meets the applicable laws
21 and regulations.

22 MS. KRUEGER: Can we come back the 15th to
23 make the decision?

24 MR. FROST: Well, if you filled out a card

1 tonight, we will be notifying everyone of our final
2 decision and we will be sending out our response to
3 comments to everyone that fills out a card.

4 So if you have not filled out a card
5 tonight and you want to be informed directly by the
6 Agency of its decision or see its response to
7 comments, you should fill out a card before you
8 leave tonight.

9 MS. KRUEGER: Thank you.

10 MR. STUDER: I want to also add to that if --

11 (Applause.)

12 MR. STUDER: -- you also submit comments by
13 e-mail or comments in writing, you will also be put
14 on the notification list.

15 Some of the cards are a little bit
16 difficult to read, but we will do our best at
17 deciphering those to get information out.

18 Is Cathleen O'Hare here? And she'll be
19 followed by Rick Morton.

20 MS. O'HARE: Thank you. I really didn't want
21 to speak tonight, but after seeing Mrs. Haller and
22 other very sick people go before me, I decided I
23 can suck it up. The incredible speakers tonight,
24 the community has spoken and these brilliant minds,

1 amazing researchers. This is advocacy at it's
2 finest.

3 I'm hearing that there will be a decision
4 made at some point, and it sounds like you've
5 described two options. One is to either accept it.
6 The other is to deny it. But I would like to add a
7 that we know what a third one is. It's that you
8 can modify it by sending e-mails to Mr. Wagner or
9 e-mails to Mrs. Hoffman and negotiating even these
10 terms about the construction permit.

11 We are watching you. We November what's
12 been going on. We would like to ask that you don't
13 choose the modification behind closed doors. Many
14 people tonight have echoed the lack of trust. I'm
15 one of them.

16 As the night's gone on, it's gotten
17 increasingly cold in here, and I can't tell if it's
18 cold emitting from this panel or from the tumor on
19 my pancreas. The shirt that I'm wearing I wear
20 only at negative occasions with the exception of
21 one of the best nights of my life, which was
22 February 15th, when we celebrated the seal order.

23 (Applause.)

24 MS. O'HARE: I don't want to wear this shirt

1 anymore. As people say, I'd give you the shirt off
2 my back. I would like someone on the panel to
3 remember what the take-home message is tonight.

4 (Indicating).

5 We don't want to wear our shirts anymore.

6 Thank you.

7 (Applause.)

8 MR. STUDER: Is Rick Morton here?

9 MAYOR TRILLA: He is.

10 MR. STUDER: Very good. He'll be followed by
11 Paul Farber.

12 UNIDENTIFIED PERSON: Here's another one.

13 MR. MORTON: Thank you. My name is Richard
14 Morton, M-o-r-t-o-n. Looking at you tonight, I'm
15 not inspired with confidence, and here's why.
16 39 years ago July 6th, 1984, in a letter that IEPA
17 wrote to Griffith Labs, and they said the toxicity
18 data provides evidence of human cancers of the
19 pancreas, the bladder, brain, central nervous
20 system, and stomach associated with EtO exposure.
21 35 years ago.

22 Various animal studies have shown
23 carcinogenic, mutagenic, leukogenic, and
24 teratogenic effects. These studies indicate

1 that the acceptable amount of level concentrations
2 were 0.007 micrograms per cubic. Nothing happened.

3 On July 31st, in a letter to Mr. Cy Levine
4 at IEPA from a concerned citizen -- this was in
5 1989 -- "Since you are not aware of the hazards of
6 ethylene oxide, I would strongly suggest that you
7 consult with your expert in Springfield and become
8 familiar with this deadly chemical. Poisoning of
9 persons living and working within the proximity to
10 Griffith and like facilities throughout Illinois
11 must be stopped.

12 That was 30 years ago, yet nothing
13 happened.

14 This past April, a PhD chemist with are 45
15 years' experience in chromatography and mass
16 spectometry of chemical analysis prepared a summary
17 critiquing the back vent tests that you were
18 supposed to oversee. He concluded there may be
19 reasons to question whether 99 percent efficiency
20 was demonstrated. The report included an e-mail
21 from from EPA's Ned Shapely to Sterigenics about
22 his concerns, and he wrote, "These are not
23 recommendations. They are requirements and failure
24 to follow these procedures could be grounds for

1 regulatory authority to invalidate the test. This
2 is your mandate to oversee and operate these tests
3 accurately, yet nothing has happened.

4 Director Kim couldn't be bothered to come
5 here tonight, but on May 7th of 2019 he spoke at
6 the Chemical Industry Council of Illinois. I can't
7 tell you how disappointing I find that.

8 So while the past history for IEPA, in my
9 opinion, is tattered, I hope that you can find a
10 way to shed and look at the permit, look at the
11 regulations with a different eye and find reasons
12 to deny it.

13 I would like to know what steps that IEPA
14 will take to correct these behaviors. And that's
15 my question.

16 (Applause.)

17 MR. STUDER: Thank you.

18 MR. FARBER: I'm Paul Farber. P-a-u-l,
19 F-a-r-b-e-r. I'm a resident of Willowbrook. I
20 actually live about a 1000 feet from the
21 Sterigenics plant. Besides that, I'm a
22 professional engineer in the State of Illinois with
23 over 40 years of experience in air pollution
24 control technology, continuous emissions monitoring

1 and source testing. For many years I worked for
2 Sargent and Lundy and was responsible for the
3 performance testing of most of the energy and
4 coal-fired power plants FGD systems.

5 Earlier today the Representative
6 Mazzochi -- and if I mispronounce your name, I
7 apologize. Talked about some of the emissions
8 readings that Sterigenics had put forward. What
9 the good representative didn't mention and perhaps
10 did not know, was that that emission data so use
11 widely (inaudible) was based on testing one -- one
12 sterilization chamber out of 14. They did not test
13 at full capacity.

14 If I had tested a power plant at 7 percent
15 capacity, you would have me wearing an orange
16 jumpsuit right now. If Sterigenics even proposes
17 to test that anything less than 90 percent, you
18 should reject that because that's not right. It's
19 not professional. And it should be rejected.
20 Thank you.

21 (Applause.)

22 MR. STUDER: Thank you.

23 Sue, you passed earlier. Did you want to
24 say anything?

1 MS. KAMULA: Actually, the questions I have
2 need to be answered by my Urszula, if that's okay.

3 MR. STUDER: Okay.

4 MS. TANOUYE: I have a litany of questions,
5 but I'll try to hit just the highlights.

6 MR. STUDER: State your name, just so we have
7 it for the record, and speak into the mic so
8 that -- your back so towards them. So they can
9 hear the question.

10 MS. TANOUYE: U-r-s-z-u-l-a. Last name
11 T-a-n-o-u-y-e.

12 There's a requirement in Section 6-1,
13 provision (a)(ii), that requires the direction of
14 the air flow through all the openings to be into
15 the enclosure at all times. I don't see a
16 provision in permit to describe how the facility
17 will attempt compliance with this.

18 MR. FROST: I can respond, but let's recognize
19 that you have a litany of questions, we're already
20 over the time that we're supposed to be here. So
21 if you want to read them into the record. If you
22 have a litany, we're not going to able to answer
23 them all am. But we will read them into the record
24 and we'll respond in our response.

1 MS. TANOUYE: Thank you. That's fine.

2 If you have a quick answer, sure. But
3 otherwise thank you.

4 MR. MATTISSON: So that negative flow is it
5 monitored by the differential pressure showing
6 negative pressure inside the building through
7 outside the building, meaning that negative
8 (inaudible) is requirement in method 204.

9 MS. TANOUYE: It's interesting that you bring
10 that pressure and the facial velocity that it is
11 supposed to be equivalent to. 200 feet per minute
12 is the floor that the method 204 requires. It
13 needs to be at least that speed. For comparison
14 that calculates to 2.3 miles per hour. A typical
15 walking pace is considered to be 2.1 miles per
16 hour. So the 200 feet per minute is slower than
17 the average person walks.

18 So what happens then when a person walks
19 outside the door and takes a trail of swirling air
20 behind them or a truck leaves the loading dock and
21 swirling air follows that truck and a vacuum is
22 created through that movement? Shouldn't be there
23 a study done at this facility to determine if that
24 200 feet per minute is sufficient or if it should

1 be increased in areas like the loading dock for
2 example?

3 Another issue I have with that is that
4 that's no monitor in that hallway. The list of
5 monitors for the pressure drop includes three in
6 the sterilization aisle, one of which appears to be
7 optional. For example, if the sterilizers are not
8 used in the east of the building, that monitor,
9 according to the permit, could be turned off.

10 Well, that monitor is kind of important
11 because there's a door that opens out that wall and
12 several windows. So we would like to know if the
13 pressure changes in that area when that door is
14 opened and nobody knows it because there's nothing
15 there.

16 Another thing that would be useful is if
17 any doors are not listed as an actual draft opening
18 have an alarm put in for them that was hooked up to
19 the fire department. They would like know if there
20 was such an emergency those doors would be opened.

21 There are one inside the aeration room.
22 One inside the vacuum room. And another in the
23 scrubber and the dry bed room and another in the
24 sterilizer storage room. There's no monitor in

1 that hallway of that loading docks. You wouldn't
2 know if that pressure changed there. So that's why
3 I'm suggesting that initial measures be added to
4 make sure that air is always flowing into the
5 enclosure. And that could be as simple as a
6 security camera on it so you can visually see if
7 that air is flowing inside or not.

8 There's another cite I referenced earlier
9 a permit that Illinois gave for a printing press in
10 which pressure difference recording were made every
11 one minute. In this permit, it's every five
12 minutes. Why is this one less stringent than the
13 printing press?

14 I want to reiterate also Katherine
15 Howard's concern about the 3-hour rolling average
16 for the same reasons. It can mask spikes and
17 draws. If you're familiar with this, it's very easy
18 so just spit out mass and a deviation to add some
19 teeth and force some validity to those averages.

20 That's another one. There are three dock
21 bays on each side of the building. Three for
22 receiving, three for shipping. What mechanism is
23 going to be proposed? I didn't see in the permit
24 to ensure that only one of those of those EO which

1 is accounted for by the by the EO calculation.
2 Only one of them would be opened at one time? Are
3 there -- is there a condition for alarms that would
4 prevent more than those to be open at the same
5 time?

6 I think I'm going to let everybody go this
7 point because the rest of these can be submitted in
8 writing and that just gives you some of the flavor
9 of the little things could be improved in the
10 permit.

11 MR. STUDER: Great job. Probably be helpful
12 if you would submit those questions if writing just
13 to make sure that there's no misunderstanding on
14 our point what was said or that went through and
15 wasn't accurately or completely transcribed
16 correctly. We just wants to make sure that we
17 address the issues correctly. Thank you.

18 Wow. Thank you everyone for being here.
19 I appreciate your comments. I appreciate you
20 taking the time to be here tonight. I know that a
21 lot the issues that have been raised tonight have
22 been heart wrenching and very, very difficult. I
23 thank you for speaking out tonight. I know there
24 are a lot of cases came forward and speak. And I

1 thank you.

2 I do remind everyone that the comment
3 period is open through August 15th. And the
4 information for providing those comments is on both
5 notice and on the information that was provided
6 tonight. Thank you again. This meeting is
7 adjourned.

8 (The proceeding concluded at 9:37 p.m.)

9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

1
2
3
4
5
6
7
8
9
10
11
12
13
14
15
16
17
18
19
20
21
22
23
24

REPORTER'S CERTIFICATE

I, Mary T. Murphy McGuirk, a Certified Shorthand Reporter of the State of Illinois, do hereby certify that the foregoing was reported by stenographic and mechanical means, which matter was held on the date, and at the time and place set out on the title page hereof, and that the foregoing constitutes a true and accurate transcript of same.

I further certify that I am not related to any of the parties, nor am I an employee of or related to any of the attorneys representing the parties, and I have no financial interest in the outcome of this matter.

IN WITNESS WHEREOF, I do hereunto set my hand at Chicago, Illinois, this 8th day of August, 2019.

Mary T. Murphy McGuirk
Certified Shorthand Reporter
CSR Certificate No. 84-4160

STERIGENICS FORMAL PUBLIC MEETING 8/1/2019

A	111:20 134:6	120:10	administrator 45:12	agent 42:13 57:24 122:1
A-19 43:21	136:19,23	actions 76:1	admissions 25:10	ago 45:18 59:4 94:6 105:1
A-l-e-k-s-a-n-... 119:1	159:1	120:14	admit 72:16	121:15 123:10
A-l-e-x 53:17	accepted 33:2	active 56:5	adopt 38:3 54:16	158:16,21 159:12
A-n-a-b-e-l 139:20	accepting 7:7 7:23,24 8:17	activities 23:22	adopted 43:21 67:22	agree 32:9 69:6,9 90:15
abandoning 27:20	access 107:5	actor 76:1	advanced 29:13	120:21 140:16
abated 44:22	accessible 37:12 54:1	actors 50:10 73:2 86:3	advice 19:13	agreed 90:21
ability 107:18	accidents 85:24	acts 50:22	advocacy 157:1	109:1 141:8
able 6:3 16:19 21:2 35:16 39:16 46:11,22 68:11,12 122:12,22 123:2 125:1,16 133:6,8 136:13 138:21 146:8 162:22	accommodate 16:19 63:1	actual 117:11 164:17	Advocate 123:7 123:8	agreeing 34:24 48:15
above-mentio... 123:6	accomplish 14:24 25:21 99:18	acute 142:2	aeration 12:23 14:17 62:15 164:21	ahead 18:14 41:22 51:20 63:8 65:14 70:9 77:4 84:2 86:20 130:1 145:17
aboveground 83:4,5	accomplished 88:15	add 156:10 157:6 165:18	affected 14:3 149:14	air 1:4,18,20 2:13 6:22 7:1 13:5 36:9,13 37:1 38:12 39:7,15 47:15 48:9,13,16 54:22 58:14 59:6 65:18 74:17 75:23 81:13 105:20 105:22 109:11 113:16 120:17 121:19,19 123:20 124:6 124:6,7,7 134:5 149:16 160:23 162:14 163:19,21 165:4,7
absolute 72:18 108:15	account 39:18	additional 13:5 24:14 52:2 89:14	afforded 5:10	
absolutely 34:9 59:7	accountability 76:1	Additionally 123:13	afternoon 57:17 149:21	
absorber 95:6 95:6	accountable 35:22	address 9:18 17:17 18:5	AG 21:5 34:23	
absorption 12:24	accounted 166:1	36:10 52:6 54:14 55:8 60:4 66:14,22 74:1 79:17 100:20 111:5 166:17	age 114:9	
absurd 76:19 138:19	accuracy 32:12	addressed 5:18 6:5 7:20 17:12 47:5 53:22 69:20	agency 1:1,13,15 1:17,20 2:21 5:14,16 6:20 8:8 11:2,7,9,10 11:14 12:1 13:23 17:16 19:18,21 21:3 30:2,6,19 31:2,7 36:17 36:20 37:3 40:21 42:4 45:8 53:21,23 54:7,11 55:8 55:10,14 82:10 84:11 94:23 101:17,20,21 102:10,16,21 111:19 113:16 116:15 123:14 123:18 124:11 138:9,14 142:16 156:6	
absurdity 138:20	accurate 168:9	addresses 8:14 10:4 12:12 37:17	Agency's 32:3 36:7	
abusive 16:22	accurately 17:9 73:24 160:3 166:15	addressing 52:18		
abut 82:23	achievement 72:17	adequately 37:17 54:14 61:18		
accept 3:7 6:16 17:1 68:12 85:21 110:12 116:17 146:16 157:5	acid 43:8 122:11	adjourn 16:24		
acceptable 29:23 73:1 85:4,8,8	acquire 71:7	adjourned 167:7		
	acquired 71:14 71:14	Administration 43:15		
	act 2:22 3:18 4:1 7:15,16 8:5 9:3 9:5 12:5 26:16 26:16 29:11 35:17 41:15,23 54:9 55:11 67:22 68:9 94:18 97:9 111:16,17	administrative 119:21 120:3		
	action 3:18,22 4:8 9:1 120:8			

STERIGENICS FORMAL PUBLIC MEETING 8/1/2019

Alex 53:13,17	Americans	43:2	113:18 114:11	166:19,19
Alexandra	121:20 124:6	Anton 98:11	118:11,24	appreciative
108:3	Amir 133:12,14	anxiety 59:10	119:16 121:9	150:21
alligator 59:11	amount 84:7	anybody 66:23	124:8,17	approach 15:4
allow 17:17	90:19 106:20	113:2 153:10	134:19 138:23	appropriate
19:23 32:5	106:22 110:2	anymore 28:9	145:7 148:14	4:14 16:17
34:9 36:7	110:11 145:1	133:18 158:1,5	150:4 153:13	25:5 61:24
39:6 45:6	159:1	apologize 49:1	154:9 156:11	64:11 73:13
47:24 50:17	amounts 41:2	74:15 145:5	157:23 158:7	104:14 131:2,10
51:9 52:8	72:8	161:7	160:16 161:21	131:21 132:2
76:15 82:14	Anabel 139:19	appeal 68:21	applicability	approval 71:13
102:17,19	analysis 89:21	68:24	23:23	approve 44:5
121:22 132:18	89:24 94:24	appear 14:11	applicable 3:24	50:17 106:1
146:1,10	100:21 159:16	appearing 49:3	12:4,9,10,18	124:15 141:13
allowable 51:4	Andrea 106:12	appears 164:6	14:8 23:10	144:24 154:5
allowed 77:24	108:1	applaud 29:3	68:4 100:18	154:6
79:13 90:20	Andrew 74:15	applause 16:16	155:20	approved 22:16
93:10 110:16	77:2,5	18:23 20:17,21	applicant 2:11,14	82:24 131:15
140:22 141:18	animal 158:22	20:24 22:13	3:23 46:16	135:13
151:9	Ann 139:16	22:19 23:3	application 2:14	approving
allowing 33:14	annual 10:11	25:24 26:6	2:18,23 3:9,19	22:22
37:21 51:1 52:1	13:15 38:16	28:10,13,22	4:8 8:13,22,23	approximately
70:17 71:20	78:18 79:8	33:16 34:1,11	9:2 23:7,11	123:9
76:17,19 78:22	81:2 137:5	34:19 35:24	24:10,15,16	April 43:21
124:1 152:5	annually 55:15	40:6,18,23	26:3,11 28:1	64:16 79:4
allows 39:8	answer 48:3,10	41:7,11 42:16	29:20 34:7	92:13 159:14
alternate 5:5	48:11,18 51:3	44:6,18 45:4,9	40:20 45:5	arbitrary 32:18
alternative 71:10	52:13 61:1 66:1	46:9 47:7,13	50:21 59:24	109:8
81:19 124:13	66:6,6 81:5	48:20 50:15	61:23 63:15,21	area 4:13 26:3
125:2 132:2	85:5 88:21	51:12 52:4	63:22 67:18	26:23,24 27:1
133:4,6	97:5 104:4	55:18 56:1	67:20 68:3,10	27:8,16 50:11
alternatives	106:22 113:21	57:12,14,22	68:18 69:4,10	59:13 83:14
43:23 44:1,2	114:5,15,17,18	58:5,18 59:19	87:22,23	94:9 99:8
122:3 124:24	131:7 132:20	63:5 64:22	90:13 92:5	136:7 164:13
125:14,16	134:8 145:4	65:8,11 67:3	97:10 104:20	areas 19:4 27:9
130:19 131:21	162:22 163:2	70:6,12,14	155:18,20	64:10 164:1
131:22 133:4	answered 48:4	72:2 73:7,20	applications	Article 73:8
amazing 157:1	92:2 146:5	75:10,15 77:1	41:3 88:7 97:4	asbestos 99:6
Amber 137:16	162:2	77:18 78:3	111:8	ashamed 70:10
139:13	answering	79:16 80:21	applied 20:10	Ashton 1:6
ambient 38:12	150:22	82:16 84:1	24:21 25:11	asked 2:4 5:3
39:7 47:15	answers 47:11	86:14 87:9	apply 8:7 14:10	18:16 43:1
48:9,13,16	51:1 63:10,11	91:15 98:8	107:10	48:22 64:18
54:22 105:20	127:15,18	101:11 102:18	applying 88:15	70:22 73:22
ameeting 45:22	128:8	102:23 103:1	appreciate	74:4 78:6
amended	Anthony 123:11	103:21 106:10	39:21 40:11	81:10 92:1,3,10
126:17	anticipation	107:2 111:1,4	60:19 119:11	97:7 105:1

STERIGENICS FORMAL PUBLIC MEETING 8/1/2019

109:20 128:7 128:9 140:14 154:23 asking 4:23 22:5 41:17 57:4 64:18 66:5,23 82:1 105:24 117:3 121:21 127:23 141:12,12 142:6 143:4 147:19 asks 23:9,14 Assembly 73:14 assessing 142:13 assessment 15:5 77:9 78:1 97:1,12 100:16 138:15 142:15 assessments 139:5 associated 158:20 association 5:8 149:2 155:4 assume 32:8 92:22 assuming 79:4 assumption 30:19 133:15 assure 13:14 assured 94:7 ate 56:10 atmosphere 10:1 141:1,4 ATSDR 79:12 100:16 ATSDR's 100:13 attempt 162:17 attend 45:18 116:9,11 attendance 17:16 attendees 16:13 attending 16:21 attention 81:3 97:20 109:3	116:1 attorney 20:5 44:24 45:2 108:22 148:18 attorneys 168:12 attributed 112:17 audience 16:10 28:23,24 29:5 46:18 58:8 60:17,23 64:23 65:2,7 65:21 66:7,10 66:15,17,20 67:7,15 69:8 75:10 80:15 83:20 84:9,13 84:22 91:3,4 94:15 95:21 96:1,4,7,11 97:17 108:5 111:14 112:5,20 113:3,9 114:14 115:1,4,7 125:3 125:5,13 126:11 128:1,3 128:18 129:18 130:2,6 141:5 148:13 152:12 152:24 audit 96:9 audited 110:1 August 1:10 3:4 7:24 8:19 15:22 17:3 18:3,8 49:21 105:18 155:15 167:3 168:16 author 88:20 authority 46:16 160:1 authorized 16:23 61:10 availability 4:21 available 2:24 3:3 4:7 8:15,17 11:4,13 13:9	29:14 30:5,10 30:23 37:6 42:2,6,9 43:23 69:13 71:1,6,18,21 93:7 94:19 95:11 99:14 124:14 avenue 131:6 average 47:15 81:22 147:5,5 147:22 148:6 163:17 165:15 averages 147:1 147:2,8,20 148:11,12 165:19 averaging 147:16 awarded 124:2 aware 24:20 85:12 96:19 159:5 awful 151:11	130:24 131:18 138:3 146:23 154:16 155:22 158:2 159:17 162:8 background 2:12 17:8 84:1 84:18 backing 50:13 backs 74:22 117:2,4,13 backyard 149:13 bad 50:10,22 71:3 73:2 75:24 Baer 118:19 119:6,6 balance 21:23 bandwagon 102:3 banned 91:10 Bar 149:1 bare 104:9 base 142:21,22 144:12 148:11 baseball 151:4 based 3:22 9:1 26:18 50:21 51:24 69:10 95:12 100:14 100:17 124:15 136:14 140:6 142:11,22 147:16 155:19 161:11 baselines 33:4 basically 92:12 basis 31:14 55:16 82:5,8 137:5 battle 102:5 battling 102:1 bays 165:21 bed 12:24 95:6 95:6 113:19 164:23 beginning	78:24 92:11,21 99:7,15 130:4 begins 78:20 begun 96:24 behalf 36:6 48:24 49:3,18 96:16 119:7 behavior 71:4 behaviors 160:14 belabor 142:19 believe 19:14 28:5 36:10 37:16 46:3 69:17,19 76:23 94:11 120:13 138:2 142:3 144:2 belong 102:12 benefit 143:6 best 30:9,20 30:22 31:22 56:12 71:17,21 88:15 94:19 122:4 134:14 156:16 157:21 better 16:1,2 48:11 51:9 60:15 81:17 83:18 98:21 105:8 147:20 147:23 148:1 big 105:6 151:5 bill 7:14 19:10,11 19:14 20:12 Binyamin 84:24 86:18,21,21 bipartisan 19:16 bit 84:8 98:21 99:23 120:1 137:20 149:9 156:15 bladder 158:19 blame 120:17 149:17 Bless 147:21 blessing 28:3
--	---	--	---	---

STERIGENICS FORMAL PUBLIC MEETING 8/1/2019

<p>blind 124:2 block 103:12 121:2 blowers 87:1 Board 12:6 42:24 68:22 119:9 145:19 Bob 129:21 body 5:8 14:11 bothered 160:4 bounds 114:21 box 4:14 23:12 Brad 1:15 6:14,18 7:3 15:24 65:12 88:17 152:20 Bradley 137:9 137:12,13 brain 21:20 151:3 158:19 BRCA 137:24 breaks 65:9 86:6 breast 137:23 154:16 breath 57:3 breathe 103:15 113:20 breathed 77:11 breathing 75:22 105:22 114:9 brief 5:15 6:14 7:9 32:24 40:12 52:11 brilliant 156:24 bring 26:19 163:9 Brittany 115:18 115:18 broker 120:5 Brook 75:7 121:13,23 brother 58:1 brought 27:15 97:19 109:2 Bryon 45:10,11</p>	<p>build 41:19 47:1 building 13:4 55:9 85:19 117:15 140:12 145:17 163:6,7 164:8 165:21 buildings 83:9 built 154:15 bunch 130:1 burden 122:18 Bureau 1:18,20 2:13 7:1 Burr 40:14,16 42:17 44:7,11 87:16,18,19 90:10,11 91:19 96:15,17 98:14 99:3 103:9 113:10 148:23 149:15 154:24 bus 34:17 business 28:6 49:23 50:6 51:17 butchered 82:20 buy 71:22 Byrnes 49:11,16 51:14</p> <hr/> <p style="text-align: center;">C</p> <hr/> <p>C 24:5 32:16 106:14 107:7 107:10,20,23 C-a-m-a-r-e-n-a 130:22 C-a-r-o-l-i-n-e 104:2 C-a-t-h-e-r-i-n-e 106:15 C-e-s-c-a 121:12 C-o-l-l-e-e-n 55:23 C-o-l-l-i-n-s 106:15 C-o-n-e-v 58:12 C-o-n-r-o-y</p>	<p>82:21 CAAPP 60:3,13 calculated 118:3 calculates 163:14 calculation 118:4 166:1 call 6:7 52:21 52:22 called 5:1 7:14 43:10 45:23 53:6 71:9 118:17 121:14 144:4 calling 18:15 calls 64:18 Camarena 129:22 130:9 130:14,17,21,21 130:22 132:17 camera 165:6 cancer 34:13 41:10 56:4,5 56:15,18 58:22,22 77:13,20 78:2 78:11,13 94:9 99:9 100:7 103:13 109:13 110:12 113:8 118:10 137:24 149:19 153:21 154:16,17 155:6 cancer-causing 42:13 cancers 158:18 capacity 89:16 89:19,20 161:13,15 capricious 32:18 capture 9:14 14:12,13 31:9 48:8 captured 15:11 38:1,13 54:24</p>	<p>59:12 captures 9:20 9:20 car 56:8 carcinogen 99:5 100:10 144:4,6,8 149:20,20 carcinogenic 158:23 carcinogens 44:15 card 4:11,15,18 155:24 156:3 156:4,7 cards 115:16 156:15 care 58:14 72:24 93:13 100:11 110:1,19 110:21 113:2 148:18 149:1 carefully 154:8 cares 57:8 Caroline 103:5 103:23 104:1 Carolyn 86:17 87:11 cars 91:13 cart 27:7 41:22 case 16:24 45:3 69:11 95:13 136:23 cases 94:9 166:24 catastrophic 89:17,22 category 99:6 cater 32:6 Catherine 103:24 106:11 106:14 Cathleen 154:12 156:18 cause 37:3 123:21 caused 35:12</p>	<p>causes 128:21 CBS 146:6 cease 38:15,18 76:9 celebrated 157:22 cell 6:9 CEMS 24:3,5,19 24:20,21 25:8 25:19 26:2 69:5 censors 77:23 center 5:2 122:20 central 106:17 158:19 certain 2:15 7:18 12:18 18:15 69:19,24 106:20 111:9,9 124:24 133:9 Certainly 18:21 Certificate 168:1 168:23 certification 11:1 11:6,9,14,18 42:19 54:7 125:2,8,9,17 125:19 126:4,5 132:23 133:2,7 133:9,15,18 certifications 10:20 29:19 29:24 41:20 42:7,9,15 54:6 55:11,15,16 132:10 certified 11:10 37:4 131:1 168:3,22 certify 42:1,4,11 42:11 131:9,12 168:5,10 Cesca 119:18 121:12,12 124:10 chair 49:14,16</p>
--	---	---	--	--

STERIGENICS FORMAL PUBLIC MEETING 8/1/2019

98:16 chairperson 87:17 Challenge 131:16 challenging 99:20 chamber 14:17 27:9,12 102:13 102:14 161:12 chambers 12:22 19:16 63:17 chance 53:5 127:14 change 55:13 79:14 87:4,4 93:14 107:6 132:1 changed 63:19 165:2 changes 164:13 changing 132:6 chant 29:3 chaos 112:12 chaotic 112:12 Chapter 88:4 88:23 Charlotte 150:12 154:11 154:14 cheats 87:2 check 4:14 151:17,23 checking 80:3 checks 23:12 chemical 85:19 97:20 98:2 140:9 159:8,16 160:6 chemist 159:14 chemotherapy 154:18 Chicago 99:11 123:11 168:16 Chicago-area 123:4 chicken 58:17	children 40:5 75:22 87:7 118:22,23 chlorohydrate 97:21 choose 157:13 Chorus 91:5 chose 76:13 Chris 6:21 83:24 134:20 Christopher 1:17 chromatogra... 159:15 chronic 142:2,6 143:3,9,10,17 chronically 142:7 cigarette 99:24 cigarettes 100:1 circles 15:6 Circuit 20:2 21:7 circumstances 19:6 cite 143:3 165:8 citizen 159:4 citizens 74:17 99:3 101:22 city 45:12,13,13 claim 75:18 Clarendon 113:11 clarify 112:15 clarity 14:1 classmates 113:6 clean 74:17 105:22 121:19 124:5,7 Cleanser 43:10 clear 22:9,15 31:20 33:5 67:8 90:22 93:20 99:12 144:20 clearly 41:17 69:4 140:16	clock 61:3 65:22,23 close 3:4 17:2 59:4 93:6 112:18,21 139:3 closed 19:19 21:11 41:13 75:5 91:8,9 157:13 closest 47:20 115:9 clue 33:14 CMS 23:18,19 23:24 63:12 139:24 coal-fired 161:4 Code 63:24 64:7 codes 22:18 83:2 88:5,23 codified 7:15,15 cold 157:17,18 colleagues 22:10 45:19 collect 10:16 collected 107:16 Colleen 53:15 55:20,22 college 101:18 Collins 103:24 106:11,13,14,15 107:7,10,20 107:23 108:1,4 column 81:23 combined 39:13 come 6:7 17:4 19:5 33:15 35:14,16 42:15 47:2 53:1 67:5 83:5 93:7 113:19 124:21 129:10 130:10 149:24 155:22 160:4 comes 32:20 71:23 133:8 140:6	comfort 35:7 coming 22:11 33:13 56:8 70:8 72:5,15 98:4,10 103:6 103:23 106:12 135:22 136:13 154:11 comment 3:2,4 3:7,14 5:11 6:3 6:5 17:2 18:2 49:6 82:13 101:16 120:13 127:7,8,21 139:11 146:17 155:14 167:2 comments 3:12 3:13 4:15,19 4:24 5:21 6:17 7:8,10,22,23 7:24 8:18 15:18,20,23 16:3,5,15 17:1 17:10,18,20,22 17:23,24 18:3 18:7 39:23 40:9 52:7,9 53:12,19,21 54:2 78:17 90:9 91:14 116:17,18 119:12 127:3 128:11,12,22 128:22 155:16 156:3,7,12,13 166:19 167:4 Commerce 102:13,14 commercial 51:7 Commission 87:18 90:15,21 96:17 committed 121:18 committee 33:9 49:17 88:19	96:18 98:14 common 23:18 26:16 32:6 57:8 communicate 143:5 communicatio... 20:8,15 21:3,5 communities 29:10 40:15 41:3 42:18 44:13 45:20 46:24 50:1,21 55:7 110:7 119:10 community 1:16 6:15,19 7:4 19:5 34:17 35:3,13 39:22 41:10 51:14 56:23 57:5 63:18 64:15 64:20 70:13 72:5 73:3,18 75:2,4,13,18,19 76:3,7,22 86:1 86:7 91:21 104:11 105:7 106:2,9 110:18 123:23 143:1 150:20 153:11 154:3,4 156:24 community's 77:20 companies 71:22 111:8 company 8:12 33:17 57:3 62:20 70:18 71:9,14 85:21 106:4,7,21,24 125:1 141:13 148:2 compare 152:18 comparison 62:19 163:13
---	---	--	---	--

STERIGENICS FORMAL PUBLIC MEETING 8/1/2019

complete 4:18 11:5 69:18 110:8 117:17,23	154:8 159:4 concerning 12:4 104:16,23	27:10 Conroy 78:8 82:21,21 83:12	contain 5:19 25:5 89:16	105:21 143:14 conversation
completed 4:10	concerns 36:11 39:13,22,24	83:16,21 84:6 84:12,17	contained 27:1,1 27:16 89:6,10	94:12 98:18 99:1 109:5
completely 21:23 27:15,17 42:3 108:15 166:15	61:11 62:3 131:3 150:24 159:22	consent 35:1,10 75:6 90:14 109:1 133:22	containing 54:1 62:5	conversations 94:7
complex 60:14 60:16	concluded 159:18 167:8	consider 17:6 22:21 40:1 62:4 90:3	contains 9:10 37:12 79:11 142:8	Cook 113:14 cooked 56:11
complexities 60:22	concludes 48:21	93:16 121:24 consideration	Contiguous 44:8	cooperatively 25:2,17
compliance 3:23 9:2 13:14 23:8,10,15,16 23:23 32:15 35:15,17 67:21 162:17	conclusory 30:12 32:17	17:24 83:3 96:22 97:14 104:12 132:7	continual 82:5 135:20	copy 17:6 109:16
compliant 25:16 31:1	concurrent 3:2 128:16	considered 18:7 28:6 62:1 118:2 163:15	continually 50:2 51:18	core 19:21 121:16
complied 41:15	condition 10:5,9 10:14,19 11:22 12:7,11 13:2,16 13:18,21 14:2,4 14:8 82:15 166:3	consistent 123:6 147:18	continue 36:8 76:13 99:21	corporate 19:18 71:4 75:7,8
comply 12:20 14:6 15:10 29:17 62:15 71:5 88:1 126:13,14,16	conditioner 59:6	consists 12:22	continues 9:22 19:9 152:21	correct 49:5 68:7 74:10 107:15,22 109:6 117:14,16 134:13 160:14
complying 152:15	conditions 9:16 11:17 13:22 52:18 55:9 67:17 152:14 152:16	constant 72:19	continuing 23:19 25:8 44:22	correctly 166:16 166:17
components 29:22	conduct 2:15 16:21 135:14	constitutes 168:8	continuous 10:18 13:16,18 15:14 24:18 69:12 82:12 107:4 140:2 147:15 151:19 160:24	cost 122:6
compounds 33:13	conducted 2:7 83:8 94:23 96:6,8	Constitution 73:9,24	continuously 10:16 152:22	council 19:12 145:20 149:1 160:6
compromised 21:23	Conev 58:6,11,11 58:19	Constitutional 73:19	contrary 50:18	counsel 19:13
compromising 50:10	Conev's 58:13	constraints 5:14	control 1:4 9:23 11:11 12:14,18 13:1,6,6 14:14 15:10,12 38:11 38:20 54:20 68:22 95:2,3 95:8 98:3 141:10,13 160:24	count 73:17 130:9
concentration 64:9 136:6 143:10,12	confidence 158:15	construct 35:5	controlled 97:24	counting 66:12
concentrations 15:12 24:17 84:4 143:8 159:1	confident 144:14	construction 1:4 1:18 2:9,14,24 3:8,12,19 4:5,9 4:16 5:12 6:16 6:22 8:8,13,16 8:18 9:9 12:12 14:3,5,11 15:8 16:4 17:11 21:6 22:6 37:14 39:19 40:2,20 41:18 49:20 54:3,4 60:3,11 67:17 116:17 121:22 124:16 157:10	controls 37:5 42:5 54:7 55:13 105:19	country 76:10 country's 122:16 County 21:8 113:14 123:16 couple 45:18 91:24 118:15 141:7
concern 142:12 165:15	confirmed 94:8	consult 159:7		course 81:11 139:22
concerned 32:21 61:16	confused 82:23 confusing 144:16			court 16:14 17:7 18:20 20:3,20 21:7 23:1 33:1 61:6,8 66:21 84:18 98:22 120:19 126:21 130:20
	connected			

STERIGENICS FORMAL PUBLIC MEETING 8/1/2019

133:10 devices 6:10 15:12 43:9 95:9 122:12 123:2 devoid 55:1 diagnosed 21:19 78:12 102:4 137:23 154:16 dialogue 17:15 diameters 61:14 diddly 80:18 die 56:3,5 58:1 died 103:13 difference 105:6,9 114:24 165:10 different 46:2 81:1 105:13 135:2 160:11 differential 80:14 81:7,20 82:6 105:5,8 105:13 163:5 difficult 98:19 99:2 117:10 136:1 156:16 166:22 dioxide 71:10 direction 153:17 162:13 directives 12:8 directly 52:23 111:22 156:5 director 22:5 22:20 24:11 26:7 57:10 64:19 88:17 145:19 160:4 Directors 116:9 disabled 21:22 disappointing 160:7 disclosure 29:23 discovered	76:6 discovering 12:2 discretion 22:8 26:9 discuss 9:22 99:21 discussed 90:21 discussing 138:20 discussion 47:22 139:9 discussions 20:4 disease 41:10 123:14 124:12 disgusted 110:10 disinfectants 43:17 disorder 61:8 dispense 27:6 dispensing 27:8,10,11 dispersed 144:21,22 147:12 dispersing 83:12,18 134:14 135:7 dispersion 15:2 37:1 70:20 71:1 83:7,10 95:15 95:19 96:5,10 108:14 109:11 109:15,16,20 109:24 111:18 133:24 134:1,4 134:12,17,23 135:12 136:17 140:8 142:10 143:11 144:17 144:20 145:3 disrespectful 16:23 distance 76:14	distinctly 17:6 district 19:2 29:8,10 disturbances 16:17 DNA 79:15 dock 117:2,4,23 163:20 164:1 165:20 docks 165:1 document 3:10 47:18 107:8 documentation 54:8 documented 122:10,17 documents 4:21 67:14 80:23 105:3 doing 32:8 45:1 51:16 60:20 87:5 90:3 110:20 111:21 dollars 41:5 Donnell 63:6 65:15,15,24 66:3,11,21 67:5,10,16,23 68:5,11,16,24 69:3,16,22 70:5,19 door 82:2,2 98:6 153:2 163:19 164:11 164:13 doors 19:24 62:14 64:12,14 79:20 80:9 157:13 164:17 164:20 doubt 42:8,13 draft 55:9 Downers 123:8 downtown 123:11 downwash 14:22 83:9	84:3 downwind 87:20 115:10 draft 2:8,23 3:3 3:7,12 4:16 5:11 6:15 7:8,11 7:22 8:16,18 9:16 10:4,9,14 11:15,22 12:6 12:11 13:16,17 13:20 14:4,8 16:4 17:11 29:16 37:17 38:6 52:16 54:13 60:11 61:14,23 64:10 65:17 68:1,17 69:17,23 70:3 72:4 116:17 117:20 118:2 140:18 164:17 drafted 24:10 66:3 70:1 drafting 131:8 132:9 drafts 141:19 drain 85:15,18 draws 165:17 drift 16:5 99:15 Drive 58:12 120:6 driver 51:7 drop 38:18 164:5 Drug 43:14 drum 26:21 27:7,10,14,18 64:5,6 88:1 89:2,8,17,22 drums 26:23 27:1,7 37:22 63:23 90:14 dry 12:24 95:5 95:6 164:23 due 15:22 33:11 42:22 122:6 DUI 51:8	DuPage 20:2 21:7 42:24 123:16 Durkin 18:17,21 18:24 19:1 20:18 21:1 22:14,20 23:4 26:1,7 28:11,14 40:8 49:12 duty 111:18,19 <hr/> E <hr/> E-I-I-e-n 119:6 e-mail 15:22 18:5 156:13 159:20 e-mailed 18:4 130:23 131:5 e-mails 131:18 157:8,9 ear 21:22 earlier 48:14 94:10 106:18 119:12 138:4 140:15 152:21 161:5,23 165:8 Early 122:8 earning 119:19 east 164:8 easy 93:19 148:1 165:17 echoed 157:14 educated 101:19 effect 14:4 83:9 83:9 effective 79:19 effects 100:3 151:2,7 158:24 efficiency 14:14 14:16 33:19 159:19 effort 25:1 122:17 efforts 25:6 122:10 123:7 131:15 eight 90:23
---	--	---	---	--

STERIGENICS FORMAL PUBLIC MEETING 8/1/2019

142:3 145:14 eight-hour 147:5 either 2:10 53:11 55:2 68:15 105:15 146:19 157:5 either/or 104:20 elected 18:15 21:12 48:22 51:15 87:15 120:22 electronic 6:10 element 88:8 elevated 51:24 elicit 143:7 eliminate 122:13 122:22 eliminated 123:12 eliminating 84:3 Ellen 118:19 119:3,6 Elmhurst 29:9 emergency 164:20 emission 10:7,8 10:11,12,18 11:11 13:10,17 15:10 15:12,14 23:10 36:18 37:18 42:4 54:7 65:18 69:12 92:24 107:4 140:2 151:19 161:10 emissions 9:15 9:21,23,24 10:16 11:13 12:14 13:1,5,7 13:9,15 14:13 14:18,21 15:11 15:15,15 21:15 23:19 24:18 25:8 30:4 31:10 32:20	37:6,20,24 38:13 39:13 44:10 50:4 54:15,15,23 59:16 72:10 79:8,8 80:24 81:2 83:10 85:4 94:19 95:3,7 97:23 104:8 106:6 107:1,9,11 141:14 142:24 148:10 149:14 152:21,23 160:24 161:7 emit 10:21 106:19 emitted 41:1 89:7,11 90:20 emitting 36:12 61:13 72:7 157:18 emotional 20:22 106:1 employee 77:17 168:11 employees 75:8 76:5 85:14,18,20 120:24 121:1 Employment 119:22 120:4 empty 37:21 52:23 enclosure 9:15 9:18 13:3,20 37:23 38:19 61:15,18,21 79:19 81:6,13 81:21 116:21 117:1,7 118:4 140:11 162:15 165:5 encourage 127:8 endangered 49:24	endeavor 5:24 ends 17:2 18:3 127:22 energy 33:9 161:3 enforce 5:24 73:11 engineer 88:12 160:22 engineering 88:17 enhanced 99:9 enjoy 101:24 enjoyed 146:18 enormous 149:11 ensure 4:10 16:15 28:2 82:7 88:13 94:20 106:23 144:24 165:24 ensuring 36:19 38:22 enter 49:6 entered 35:10 entering 141:4 entertain 41:3 entertaining 34:15 entire 49:18 72:14 123:8 entirely 29:20 75:18 environment 27:3 33:9 39:10 44:12 73:11 89:7,12 101:21 121:17 145:2 environmental 1:1,13,15,17,20 2:21 3:18 4:1 6:20 7:16 9:3 19:12,17,20 24:11 40:21 45:7 49:17 67:21 84:10	87:18 96:17 97:9 98:13 101:17,20 102:9,16,21 123:18 138:2 145:20 EO 24:17 26:21 27:17 39:15 42:2,5 44:15 44:21 165:24 166:1 EPA 2:13,23 3:10 4:3,5 5:23 6:12 7:5 9:6,8 16:24 18:1 19:11 20:5 20:8,12 21:4,6 22:7 24:19 25:18 26:12 29:11 30:15 31:13,16 32:6 32:22 33:1,10 36:10,13,24 37:9,11,20 38:8 39:7,11 39:18 40:1,3 40:16 46:4,17 47:23 48:2,6 48:10 50:16 51:23 59:5,14 62:9,19 64:2 73:18 75:3 85:19 88:13 96:8,20 97:1 104:13 108:22 109:10 111:6 121:5,6,15,18 130:24 134:1,6 135:5 144:3 149:18 EPA's 124:5 159:21 EPA.Sterigeni... 8:20 15:23 18:4 equating 30:16 equipment 13:6	38:11 43:18 52:3 54:21 91:13 98:3 equipments 43:6 equivalent 61:13 81:24 163:11 escaping 147:13 especially 54:15 essence 48:10 essentially 11:16 15:6 establish 41:6,8 established 51:16 estate 120:5,14 154:21 ETA 128:8 ethically 99:20 ethylene 9:19 9:21,24 10:1,17 10:21,23 11:3 11:12,21 12:4,9 12:15 13:9 19:15 26:22 27:6 30:4 31:5 33:3,5,6 36:9 36:12,18 37:6 37:18,22 38:1 38:5,13,24 41:2 42:22 43:5,22 47:16 63:13 64:3,9 69:5,13 71:10 71:11 72:7 77:11 87:24 88:6,10 88:14 89:1,3,8 97:13,20 99:4 99:4,8,21 100:3 105:15 106:20 113:15 121:24 122:6 122:14,18,21 122:23 123:6 123:9,19 125:9 131:2,10,12,20 159:6
---	---	--	--	--

STERIGENICS FORMAL PUBLIC MEETING 8/1/2019

EtO 41:24 43:11 43:12,13,16 50:4 54:14,18 54:23 59:3,9 59:16 62:6 63:23,24 79:11 90:14,16 90:18,19 91:10 96:23 118:22 134:10 141:1,8 141:9 144:5 147:12 149:24 151:2 158:20 European 91:10 evacuations 95:4 evaluate 152:18 evaluating 60:12 Evan 125:10 evening 4:12,17 4:23 18:10,16 36:4 53:12,16 57:18 87:14 96:14 evening's 18:7 event 89:2,8 everybody 18:22 28:9 48:17 77:6 83:21 84:4,6,8 127:6 145:15 150:8 166:6 evidence 55:2 75:4 151:1 158:18 evidenced 20:1 104:10 105:20 exact 51:11 99:18 136:2 exactly 32:7 100:2 116:14 120:11 136:13 examination 17:14 example 36:24 37:20 132:6	164:2,7 exceed 79:9 90:24 exception 63:4 126:9 157:20 exceptions 61:20 62:24 Excuse 3:1 48:23 83:23 130:21 executives 75:12 exemption 61:12 62:11 exhaust 10:1 13:12 exhibit 26:20 65:17,19 67:11 87:23 92:2 Exhibits 33:1 exist 52:1 93:18 93:21 existing 2:19 12:9 24:17 exists 30:3,8 31:14 exiting 140:4 exorbitant 72:8 expand 132:20 expect 25:5 expended 36:16 expense 36:16 experience 22:2 24:24 25:14,15 159:15 160:23 experienced 153:23 expert 159:7 explain 27:20 39:23 89:4,9 142:4 143:18 explained 67:19 explanation 23:14,15 explosion 105:2	105:10,12,15 expose 36:17 exposed 44:14 72:13 75:12 76:2 84:4,7 98:1 113:6,7 144:3 exposure 27:2 38:22,23 72:20 142:2,6 143:3 158:20 expression 58:19 expressly 14:10 extent 5:13 16:17 37:2 42:7 128:13 extraordinarily 32:21 extremely 27:13 97:23 147:10 extremes 148:5 eye 124:2 160:11	39:1 41:19 47:17 49:20 49:23 50:4 52:2 54:20 60:2 64:1 72:4,5,15 83:8 88:14 94:18 95:2,8 98:4 115:9 123:21 125:7 134:11 143:13 151:23 162:16 163:23 facility's 11:10 fact 28:16 30:9 34:15 50:3 71:5 72:6 79:18 96:22 108:13 factory 135:3 factual 31:14 factually 30:12 failed 105:23 105:23 failing 114:10 fails 30:12 38:16 38:20 failure 89:17,22 143:5 159:23 fair 86:10 faith 36:22 51:15 false 35:7 familiar 88:4 118:17 159:8 families 75:21 151:3 154:4 family 86:12 87:6 113:6 154:6 165:17 family's 94:8 fan 82:3 fancy 43:18 far 114:1 128:22 137:6,6 Farber 158:11 160:18,18 farce 22:12	fast 20:1 92:16 faster 93:8 145:18 father 56:14 87:8 faulty 38:24 FCE 63:12 FDA 44:2 62:8 71:13 124:21 131:16 FDA-approved 131:19 fear 59:10 151:9 feasibility 71:15 features 24:14 February 157:22 federal 14:7,15 57:24 96:20 97:1 feel 6:6 53:7 120:24 153:10 fees 23:22 feet 34:8 42:14 44:3 47:1 58:13 81:13,16 81:19,24 83:4 83:5,11 104:22 160:20 163:11 163:16,24 fence 47:1 105:2,12 fertility 56:20 FGD 161:4 field 1:20 24:24 fifth 34:20 39:12 55:10 fight 19:8 76:11 150:17 fighting 56:18 76:11 150:20 153:12 figure 33:11 91:14 filed 32:24 fill 156:7 filled 155:24
F				
		F-a-r-b-e-r 160:19 F-r-a-n-t-z-e 53:18 F-r-a-n-z-e-s-e 87:15 face 81:12 face-to-face 110:5 facetious 75:17 facial 61:17 163:10 facilities 39:14 63:14 159:10 facility 2:17 8:10 8:15 9:11 10:15 10:21 11:1 12:19 12:20 15:2,4 24:22 25:11 28:4 30:16,20 35:11 37:3,10 37:22 38:5,10		

STERIGENICS FORMAL PUBLIC MEETING 8/1/2019

156:4 fills 156:3 final 3:8,18,22 4:7,20,22 5:19 9:1 17:19 32:12 82:13 155:16,18 156:1 finally 19:8 34:20 39:12 73:6,8 124:12 financial 168:13 find 8:3 9:17 11:14 12:17 67:14 73:4,5 90:15,16 92:8 98:18 99:1,2 115:8 160:7,9 160:11 finding 32:15 109:13 findings 30:2,7 30:24 31:8,17 31:18 32:11 fine 41:5 163:1 finest 157:2 finish 28:18 fire 42:14 77:17 164:19 fired 85:17 first 5:4,5 8:4 9:13,14 24:8 24:12,16 29:18 32:10 36:13 39:9 41:24 42:15 49:6,14 52:12 53:3,13 53:24 65:16 72:6 74:16 78:10,17 79:2 106:5 109:3 124:19 133:14 133:14 149:19 150:2,15,16 155:13 five 12:1 165:11 fix 38:4 54:18	93:20 flag 33:22 flat 35:5 flavor 166:8 flaw 93:17 flawed 145:3 flexibility 46:5 Fling 74:20 Flint 149:7 floor 163:12 flow 136:6,7 162:14 163:4 flowing 165:4,7 focus 45:15 52:19 53:22 follow 53:2 59:14 65:13 91:24 159:24 followed 6:14 18:18 33:23 36:3 55:20 74:15 77:3 78:7 82:19 84:23 86:17 87:12 90:4 91:17 93:23 95:5,5,6 96:12 98:11 103:5,24 106:12 114:13 118:19 119:4,18 137:9,15 139:15 145:11 147:10 148:16 150:5,12 154:12 156:19 158:10 following 53:15 57:15 58:7 follows 4:24 163:21 food 43:14 56:10,11 force 165:19 forefront 150:17 foregoing 168:5 168:8	forgotten 19:21 form 7:23 81:1 90:17 formal 1:3 2:5,6 3:6 18:5 45:23 116:18 format 2:8 4:24 former 98:15 120:4 145:19 forms 99:13,16 102:1 forth 12:5,11 forward 17:4 24:23 25:13 78:1 103:23 161:8 166:24 fought 76:11 102:5 found 102:2,6 132:2 four 51:1 56:14 67:24 68:5 95:9 102:5 120:10 four-house 103:12 four-year 114:8 four-year-old 114:3 fourth 34:2 39:2 55:1 131:17 fraction 14:19 frame 5:24 Frank 36:2,5 44:5 102:20 frankly 35:15 65:6 Frantze 53:14 53:16,17 Franzese 87:12 87:14,15 free 6:7 53:7 Freedom 20:19 frequent 152:1 friend 56:12 front 48:17	150:13 Frost 1:15 6:14 6:18,18 7:3,3 17:12,15 22:5 22:20 26:7 60:11,18,24 64:19 65:12 68:2 77:7 80:6 94:6,11 95:16,24 97:2 97:7,15 98:3 100:12 101:2,6 111:5 112:15 116:9,14 124:18 125:7,12,15,20 125:24 126:3 126:12 128:11 128:16 129:14 129:17 132:14 132:19 133:19 134:20 138:9 138:24 142:8 142:10,15 151:18 152:9 155:13,24 162:18 frustration 84:20 fugitive 13:5 37:19,24 54:15 full 29:23 34:4 34:22 37:21 38:6 92:17 97:12 161:13 fumigate 11:5 fumigated 11:3 fumigation 10:24 11:4 88:7 89:1 fund 41:9 furious 92:16 further 20:22 62:17 83:13 122:20 123:21 168:10 Furthermore	50:6 76:8 future 14:18 39:18 <hr/> G <hr/> G 29:17 30:14,18 31:2,23 32:5 33:1 35:18 41:15 G-a-r-e-l 53:17 G-i-a-c-a-l-o-n-e 101:15 G-r-a-s-s-o 40:14 G-u-y 87:15 gain 24:24 25:14 Gallagher 119:8 gaps 118:1 garage 135:3 153:2 Garel 53:14,16 53:17 Gary 36:3 40:13 gas 43:7,8 44:11 56:8,8,9 97:21 110:23 141:8 general 17:8 20:5 45:1,2 52:7 73:14 132:21 general's 108:22 generate 39:15 generated 62:22 gentleman 112:13 Georgia 104:8 getting 34:5 74:3 86:6 118:10 128:5 139:3 143:16 143:19 149:5 ghost 47:4 Giacalone 101:14,14
---	--	--	--	---

STERIGENICS FORMAL PUBLIC MEETING 8/1/2019

102:19,24 103:2 gist 120:12 give 23:6 42:19 66:24 102:24 134:2 145:15 145:24 147:22 147:24 148:1,2 155:9 158:1 given 17:23 35:9 70:23,24 96:21 109:22 110:6 138:16 gives 29:11 93:5 141:8 166:8 giving 35:6 92:18 149:8 152:4 glad 21:7 glorious 72:17 go 7:19 8:9 14:1 18:14 22:4 24:8 33:10,12 33:24 43:19 56:23 63:8 65:14 66:9 70:9 77:4 84:2 86:19 87:6 102:6 105:10 110:22 110:23 120:18 127:5 129:16 129:17,20 130:13 132:11 145:17 149:17 150:7 151:22 152:9,13,14 154:23 155:9 156:22 166:6 goals 25:21 goes 20:11 27:5 72:11 79:24 113:12 146:23 going 7:18,19 13:12 20:22 20:23 21:10 22:10 23:4	28:2,18,19 29:3 31:12 34:6,13 35:1,3 35:5,8,14,16 42:10 44:9 45:15,21 46:20 47:23 48:2,7 52:14 52:21,22 58:15,16 60:1 65:4,10 75:3 79:23 80:2,8 81:5 83:24 85:8,22,22 85:24 86:1,3 90:2 92:15 100:6,8 103:14 103:16 104:23 105:19 106:16 106:19 109:1 118:16 126:20 126:22 127:5 128:6 133:13 134:2 135:21 136:2,16 138:3 139:16 141:6 143:6 145:13 145:22 147:2 147:3,4,7,9,22 147:24 148:1,2 148:9,10,10,11 149:4,16 151:15 151:16 152:8 153:15 154:22 155:9,10,12 157:12 162:22 165:23 166:6 golden 101:24 good 2:3 19:19 33:20 36:4 52:17 53:16 57:17,17 83:10 85:13 86:3 87:14 96:14 119:19 123:7 124:22 126:24 134:17,24	136:24 153:16 158:10 161:9 gosh 124:2 gotten 86:8 157:16 governing 2:19 government 58:1 110:9 121:1 governmental 5:8 73:12 governor's 108:23 grab 132:23 grade 57:6 grandchildren 86:12 grandfather 86:6,9,11 grant 57:4,9 68:12,15 granted 56:23 60:7 62:19 granting 54:2 73:6 Grasso 36:3 40:8,14,19,24 41:8,12 42:17 44:7,19 45:5 53:19 122:2 gravely 28:4 Great 166:11 greater 81:22 greatest 11:12,19 13:8 30:4 37:5 42:5 grew 113:5 Griffith 158:17 159:10 grill 56:9 ground 59:4 grounds 159:24 group 99:5 Grove 123:8 grow 56:13 guess 16:2 58:16	guidance 88:9 guidelines 8:2 88:12 guinea 26:5 87:21 Guy 87:12,14 guys 70:17 72:16 80:2 81:3 83:1 92:2 102:24 108:12 109:15,17 110:8 110:20 131:18 147:20 151:15 155:8 <hr/> H H 33:1 H-a-l-l-e-r 2:22 55:23 H-e-a-d-i-n-g-t... 148:21 H-o-e-p-n-e-r 150:15 H-o-u-c-h 94:2 H-o-w-a-r-d 78:9 146:22 hairdo 102:8 half 90:23 104:22 Haller 2:22 7:14 29:11 35:17 41:15,23 53:15 54:9 55:11,20 55:22,22,24 56:2 94:18 111:16,17 156:21 hallway 164:4 165:1 halt 21:8 Hampshire 122:9 hand 18:13 56:18,21 64:2 64:3 65:20 74:5 77:10 78:6 110:14	128:5 168:15 handling 88:6 88:24 handout 18:6 hands 56:16 74:8 HAP 65:18 happen 22:2 42:14,21 86:4 103:11 happened 62:13 71:13 104:10 159:2 159:13 160:3 happening 64:19 87:3 happens 72:20 141:8 163:18 hard 74:18 108:8,11 153:8 harm 35:12 44:22 59:12 150:2,3 harmed 38:22 harmful 36:8,18 39:15 134:1 harming 76:9 hate 87:5 Hayden 96:13 hazard 89:21,24 hazardous 97:23 hazards 65:18 159:5 he'll 74:14 137:9 148:16 158:10 head 57:1 151:5 Headington 145:10,11,18 146:18 148:15 148:17,17,21 148:23 health 22:1 24:11 39:10 40:4 43:1 49:24 50:11 51:24 55:5
---	--	---	---	---

STERIGENICS FORMAL PUBLIC MEETING 8/1/2019

121:17 122:15 122:16 123:16 123:17,21 145:1 148:18,24 healthcare 41:9 healthful 73:10 healthy 56:10 hear 2:2 6:1 15:20 16:15 18:22 20:21 22:10,22 46:13 81:15 84:19 86:5 98:21,22,23 99:2 129:19 150:18 162:9 heard 44:1 58:19 64:16 85:11,14 120:20 122:2 127:20 hearing 1:14 46:7 47:2,11 127:13 149:10 157:3 hearings 33:8 hearsay 20:11 heart 166:22 hearts 150:24 heat 43:9 Heather 78:8 82:18,21 heavy 59:3 height 34:6,14 55:8 82:24 104:18,20 135:12,15 138:19 heightened 29:12 heights 34:3 held 168:6 Hello 36:4 77:5 94:1 106:14 118:20 help 8:2 101:22 146:2	helpful 166:11 hereof 168:8 hereunto 168:15 hero 146:5,6 Hi 55:22 137:17 high 57:6 72:12 83:11 106:17 147:4,6,10,12 148:4,6 high-level 43:16 higher 44:10 92:17 105:8 highest 34:8 64:9 highlights 162:5 highway 51:10 Hills 113:11 Hinsdale 29:9 49:4,19 51:23 106:16 113:11 154:24 history 50:7,9 80:1 138:17 152:2 160:8 hit 32:2 162:5 Hitchcock 122:8 hockey 56:6 Hoepner 150:6 150:11,13,14,19 152:2 153:3,6 153:14 Hoffman 105:4 105:11 157:9 hold 29:12 35:22 42:14 44:3 57:10 116:15 hole 26:10 home 104:24 154:15 155:9 homes 99:22 honest 152:6 Honestly 110:2 hook 78:12 hooked 63:19 164:18	hope 21:2 150:23 160:9 hoping 2:2 hormone 58:23 horrible 129:1 horrific 22:1 horse 41:22 hospital 122:9 122:10,19 123:4,11,13 hospitals 122:5 Houch 94:1,1,17 95:10,14,19 Hough 91:17 hour 163:14,16 hourly 76:5 hours 78:13 82:8 142:3 154:18 house 33:8,9 102:14 113:20 houses 120:6,11 154:22 How's 133:13 Howard 77:3 78:9,9 79:10 79:17,22 80:7 80:10,17,22 81:8 82:13 92:9 127:1,14 127:17,24 128:7 146:3,21 146:21,22 147:24 148:9 Howard's 165:15 human 39:10 121:14,17 142:13,19,20 145:1 158:18 humans 142:6 144:2 hundreds 91:6 Hurray 155:10 hurried 36:7 husband 56:4 58:22 86:24	114:3 hydrogen 43:7 43:8,24 99:18 122:11,24 <hr/> I <hr/> I-R-I-S 101:13 idea 25:4 identified 38:8 69:20 93:18 identify 38:4 54:18 IDPH 94:8 IEPA 24:23 25:3 53:24 54:11 64:17 67:17 70:21 110:15 158:16 159:4 160:8,13 ignore 75:4 ignoring 72:6 ii 39:14,17 162:13 ill 41:9 Illinois 1:1,8,13 1:15,17,20 2:13 2:20,23 3:9 3:18,24 4:2,5 5:23 6:12,19 7:5 9:6,8 16:24 18:1 19:12,17,20 28:3,21 30:15 31:13,16 32:6 32:22 33:1,10 34:23 36:10 36:13,14,24 37:9,11,20 38:8 39:7,11 39:18 40:1,3 40:16 43:4,20 46:4 47:23 48:2,6 50:16 51:21,23 73:9 73:18 74:2 88:12,13 94:8 96:8 97:9	98:17 99:11 101:17,19,21 102:9,16 108:22 109:10 111:6 113:16 119:22 120:3 121:5,13 123:17 130:24 145:19 149:1,18,23 159:10 160:6 160:22 165:9 168:4,16 illnesses 42:22 illustrate 50:7 illustrated 50:23 images 57:1 immediately 38:15,17 39:16 immunothera... 102:6 impact 39:7,13 134:10 impacts 38:12 54:22 implement 8:11 implementation 123:1 implemented 122:11 implementers 122:8 implementing 131:21 imply 30:2 important 27:14 164:10 importantly 27:22 imposed 137:5 impossible 29:21 30:5 improved 52:2 166:9 improvement 69:24 improvements
--	--	--	--	---

STERIGENICS FORMAL PUBLIC MEETING 8/1/2019

2:15 12:14 13:1 13:8 14:12,23 15:3 124:19 inaudible 46:10 57:15 66:8 73:21 103:2 135:16 161:11 163:8 inches 81:23 include 54:6 61:20 118:10 122:8 126:18 127:11,12 included 3:15 10:8,14,17,18 11:22 12:6 13:16,17,20,24 159:20 includes 90:13 164:5 including 5:21 9:4 43:24 123:18 incomplete 28:1 inconsistency 63:20 inconsistent 64:13 Inconvenient 128:24 increase 14:13 120:19 123:2 increased 48:1,1 94:9 104:18 164:1 increasingly 157:17 incredible 95:2 156:23 independent 30:7,21 31:7 96:9 indicate 7:20 18:12 64:3 158:24 indicated 74:1 indicates 37:2	39:5 79:18 indicating 151:5 158:4 industry 25:1 62:4 88:5 160:6 inefficiency 122:7 Infant 58:14 information 10:16 20:14,19 23:8 37:9,13 39:11 47:22 51:1 54:2,10 65:18 111:9 141:24 143:8,9 152:19 156:17 167:4,5 informational 17:13 100:22 informed 156:5 inhaled 44:21 initial 10:7,8,10 96:5 165:3 initiatives 140:11 Innovation 131:16 innovative 149:12 input 70:2 inside 27:8 62:22 81:21 89:9,11,18 163:6 164:21 164:22 165:7 insist 22:21 insisted 53:20 inspect 151:21 inspection 64:2 151:22 inspections 13:23 inspector 152:9 inspectors 152:13 inspired 158:15 install 39:3 55:3	55:5 107:17 installed 23:18 24:1,4 intend 16:11 70:1 intended 90:22 interaction 96:20 interest 168:13 interesting 163:9 International 123:21 interrupt 16:6 Interstate 120:18 intervention 143:20 introduce 6:13 introductions 6:13 invalidate 160:1 invoke 34:21 involvement 5:16 IRIS 100:13,14 100:23 101:6 101:12 issuance 14:2,5 41:4 issue 3:10,22 4:5 8:24 9:8 20:22 22:17 32:14 39:7 40:2 47:4 49:19 53:21 69:13 70:1 128:19 130:5 134:8,9 141:11 141:12 164:3 issued 39:4 60:7 68:1 69:21 128:16 issues 37:10 39:19 40:1 53:22 54:11 56:19 69:19 128:22,23	132:5 166:17 166:21 issuing 40:17 italics 8:6 9:12 items 146:24 IV 154:17 <hr/> J <hr/> J-a-n-a 58:11 JACIKOVA 130:8,12 Jana 58:6,11 Jancikova 129:5,12 130:3 January 92:15 102:4 Jason 114:13 115:17,17 Jennifer 91:17 93:22,23 94:1 96:12,14 Jim 19:1 Joan 98:11 job 25:14,21 32:3 35:22 50:20 52:17 85:13 91:7 102:10 124:4 142:16 166:11 jobs 85:15 110:20,22 Joe 45:13 101:14 John 116:8 Joseph 122:19 122:22 Jr 101:15 judge 119:21 120:3 judgment 32:12 Judi 103:4,6 Judith 103:7 July 3:1 8:17 64:2 121:15 158:16 159:3 jump 24:12 jumpsuit 161:16 June 2:12 8:13	22:7 24:9 63:24 149:5 junior 101:18 jurisdictions 95:1 justice 60:20 justifications 63:4 <hr/> K <hr/> K 118:7 K-a-e-s-e-b-e-... 108:20 K-a-t-h-a-r-i-n-e 130:22 K-a-t-h-e-r-i-n-e 78:10 146:22 K-e-l-l-y 77:6 K-o-v-a-s 118:8 K-r-i-b-b-s 103:8 K-r-u-e-g-e-r 154:14 Kaeseberg 65:13 70:10,13 70:15 72:3 73:8 74:7,10 108:6,11,19,19 111:2 Kaiser 122:15 Kamula 148:16 162:1 Katharine 130:21 Katherine 77:3 78:7,9,10 129:20 146:3 146:8,21 165:14 Kathleen 105:3 105:11 Kathy 86:16 keep 7:9 17:8 19:18 20:24 31:16 41:12 53:3,4 70:20 75:4 80:8 82:3 91:7
---	---	---	---	--

STERIGENICS FORMAL PUBLIC MEETING 8/1/2019

Kelly 74:15 77:2 77:5,5,16,19	136:13 137:1 144:18,18	Lauren 65:13 70:8 108:19	110:15,16 149:4	112:1
kept 152:17	145:21 147:2	law 7:13,15 8:21	legislator 28:8	lied 64:20,20
Kevin 1:19 6:24 139:1 151:20	149:3 152:6,7	9:10,12 10:20	legislators	64:21 65:12
key 77:6	152:10 153:4	11:20 12:9,13	30:13	110:5
kidney 154:17	153:14,21,21	12:16,19 14:10	legislature 19:12	lies 87:2
kids 118:10	157:7 160:13	15:8 44:3 68:3	74:2	lieu 53:11
kill 73:1	161:10 164:12	73:4,15 97:3	length 59:1	life 58:24 86:23
killed 83:21	164:19 165:2	100:18 119:21	Leopold 116:5	87:6 101:24
killing 71:24 91:23	166:20,23	120:3 125:7,17	Leopoldo 116:6	154:19 157:21
Kim 22:5,21	knowing 114:23	126:10,12,15,17	116:6,18,24	life-threatening
26:8 57:10	145:4	132:22 133:1	117:5,13,15,17	44:14 72:18
116:8 160:4	knowledge	136:19 151:20	117:22 118:5	lifelong 102:11
kind 9:13 82:23	46:15	lawnmower	140:14	lift 44:23
83:16 84:8	known 2:21	56:9	let's 24:8,12	lifting 20:7 44:9
139:6 164:10	50:3,3 144:6,8	laws 100:18,24	91:13 110:13	44:10
kinds 58:22	149:13,18	155:20	115:8 134:3	light 95:4 96:22
kits 132:5	knows 7:13	lawsuit 73:17	162:18	likes 137:16
know 2:6 4:17	58:10 143:2	lawsuits 104:9	letter 24:9,13	limit 11:20,21
8:2 20:4,7,14	146:1 164:14	106:6 128:24	158:16 159:3	13:11 14:18
20:15 26:1	Kooy 116:2	lawyer 120:2	letterhead	70:22 78:19
27:4,18 32:13	Kovas 118:6,7	Layden 98:12	80:23	79:12 109:2
34:4,4,10,22	Kribbs 103:4,6,7	98:12,23 99:1	leukogenic	111:2
41:22 44:16	103:8,22	99:16 100:24	158:23	limitation 73:14
45:22 46:19	Krueger 150:12	101:3,8 114:12	level 15:14 32:3	limited 2:8
47:15 56:17	154:13,14	115:13	69:14 85:7	limits 14:20
59:3,11 60:24	155:22 156:9	lead 149:9	99:23 137:2	63:24 95:1
66:11 67:16	L	leadership	138:10 143:10	137:4 142:8,11
77:11,12,20,21	L-a-y-d-e-n	40:11	159:1	line 81:4 143:15
77:21,23 78:1	98:13	leads 138:1	levels 15:13	lined 81:4
78:11,11 79:24	L-e-o-p-o-l-e-...	leak 38:3 54:16	36:8 39:15	liquid 147:11
80:10 82:1	116:7	89:6,10	44:14,15 47:16	Lisle 138:17
85:3,5,7,12,15	L-u-k-e 49:9	leaking 89:2,8	48:1,4 50:5	list 29:24 43:5
87:3 92:4	Labs 158:17	leaks 86:2	62:6 85:4	156:14 164:4
95:10 99:7	lack 157:14	learn 99:7	100:4 101:5	listed 13:2 88:18
100:2,7,9,9,21	ladies 121:7	leave 14:6 82:3	110:17 134:10	164:17
101:4 104:19	Lake 113:14	156:8	139:1 147:11,11	listen 7:10 75:3
104:24 105:4	land 121:20	leaves 163:20	Levine 159:3	139:22 150:24
105:17,17	language 9:12	leaving 17:6	liability 42:20	listened 153:18
106:18 111:3	9:22 125:10	Lebanon 122:9	liable 152:5	listening 149:3
114:2 116:8	132:22 133:1	Lee 121:11 125:4	Liar 94:16	lists 43:15,15
121:3 124:21	large 26:10	left 21:21,22	liars 108:16	63:15
127:22 131:7	123:5	52:24 112:14	libraries 57:8	litany 162:4,19
133:20 134:1	largest 122:16	legal 4:3 9:6	license 51:8	162:22
135:1 136:7,9	Lastly 64:15	30:13 73:13	124:1	literally 76:14
	late 72:10	legibly 4:18	licensed 88:11	little 38:7 84:7,8
		legislation	lie 77:21 85:13	98:21 99:22
			111:11,13,22,23	120:1 124:7

STERIGENICS FORMAL PUBLIC MEETING 8/1/2019

137:20 149:9 156:15 166:9 live 44:13 58:12 75:9 78:14 87:20 94:3 103:12 114:1,4 115:2,3,5,6 120:5 123:22 144:10 148:18 148:23 149:15 154:20 155:2 155:4,7 160:20 lived 58:21 86:7 86:23 87:21 91:19 liver 154:17 lives 72:14 112:22 living 19:7 21:19 154:5,6 159:9 LLC 2:9 loaded 62:2,7 loading 64:12 117:2,4 163:20 164:1 165:1 local 14:7 located 2:17 21:14 27:8 139:24 140:3 location 24:5,6 62:14 120:15 locations 47:20 lock 85:19 log 82:6 107:1 151:20 logging 106:21 logic 134:15 135:9,10 logs 107:5 152:10 long 50:7 58:9 79:19 81:22 long-term 100:2 longer 5:15 29:2 75:19 80:4 155:11	look 24:23 25:13 33:4 47:8 59:17 72:9,21 76:23 92:7 118:9 137:2,3 139:6 142:21 147:17 160:10,10 looked 45:23 83:2 139:5 looking 74:22 92:7 100:21 101:23 105:14 107:18 124:22 147:1 158:14 looks 53:13 55:21 70:8 82:19 84:24 86:17 90:5 93:23 96:13 98:11 116:3 118:6 119:4 121:11 137:1,16 139:16 145:10 150:6 loophole 93:6 loopholes 93:7 losing 155:2 loss 56:24 lost 28:12,14 56:12,14,15 lot 22:10 31:12 79:11 85:10 96:20 127:3 131:17 150:1 151:1,1,8 153:21 153:22 155:6 166:21,24 lots 155:5 loved 56:3,6,6 56:15 low 147:3,11,12 147:12 148:5,5 148:6,7 lower 47:18,19 55:6 99:23 100:4 101:4	lowest 32:6 lucky 21:23 Luke 49:1,9 118:13 Lundy 161:2 lung 103:15 lungs 103:17 lying 152:2 lymphoma 102:2,7 <hr/> M <hr/> M 145:10 M-a-c-k-o-w-i-... 103:9 M-a-g-u-i-r-e 74:13 M-a-y-e-r 91:19 M-a-z-z-o-c-h-i 29:8 M-c-C-a-n-n 118:8 119:2 M-c-C-o-n-a-h-y 96:15 M-c-f-a-r-l-i-n 139:20 M-c-N-i-c-h-o-... 57:19 M-o-r-t-o-n 158:14 ma'am 66:13,13 66:13,13 112:24 114:20 115:6 Mackowink 103:7,8,8 Macnabb 104:5 mad 91:8 magic 34:7 Maguire 70:9 74:12,12,16 75:11,16 main 15:7 maintain 61:18 71:7 82:4,7,11 148:8 maintained	82:9 majority 74:4 making 3:3 4:24 22:15 30:21 53:11 68:6 93:20 152:5 malfunction 54:22 man 56:5,10 managed 85:16 manager 1:16,18 6:18,22 7:4 mandate 160:2 mandatory 152:20 manipulate 148:3 manner 16:12 manufacturer 25:3,4,18 26:13 manufacturers 29:19 131:24 March 78:20,21 79:1,4 92:10 92:12 93:4,5 93:11 Marchese 45:14 Margie 63:6 65:15 Mariann 116:3 mark 15:5 market 71:12 133:8 Marketing 141:20 Mary 122:8 137:9,12,13 168:3,21 mask 165:16 mass 159:15 165:18 materials 8:1 mathematically 136:12 Matt 2:22 7:14	29:11 35:17 41:15,23 54:8 55:11,24 94:18 111:16,17 matter 2:8 4:19 4:20 16:7 168:6,14 matters 141:23 141:24 Mattisson 1:19 6:24,24 69:11 80:12 81:5,9 81:16 107:3,8 107:16,22 116:22 117:3,10 117:14,16,19,24 136:4,12 137:1 140:2,10,18,21 141:3 147:21 148:4 152:13 163:4 Mayer 90:6 91:18,18 93:2 93:19 115:20 115:21,23 mayor 36:2,3,4 36:5 40:7,8,9 40:14,19,24 41:8,12 42:17 44:7,19 45:5 45:13 53:19,19 102:20 122:2 158:9 mayors 53:20 Mazzochi 18:18 29:6,7 33:17 34:2,12,20 40:9 41:16 49:13 161:6 McCann 118:6,7 118:7,18,20,21 119:1 McConahy 93:24 96:14 96:15 97:5,11 97:18 98:7 McFarlin 137:16
---	---	---	---	--

STERIGENICS FORMAL PUBLIC MEETING 8/1/2019

139:13,19	48:18 52:8,20	106:12 119:24	161:6	15:9
140:5,13,20	70:2 108:16,21	137:19 162:7	misrepresent...	modified 61:15
140:24 141:6	112:7,9 116:13	Michael 133:11	35:6	61:17 89:16
142:9,12,18	116:16 167:6	Michigan 149:8	missed 92:13	124:6 131:14
143:15,21	meetings 45:24	micrograms	missing 27:13	modify 62:14
144:18	116:10,11	159:2	29:20 77:6	93:12 107:6
McGuirk 168:3	meets 11:18	microphone 5:1	mission 19:21	157:8
168:21	140:23 155:20	6:8 17:5	50:19 121:16	moisture 43:9
McNichols	member 42:24	108:10 129:11	121:22 124:5	molecule 79:14
55:21 57:16,17	58:8 64:15	150:14	misstatement	84:12
57:18,23	75:13 88:18	middle 57:7	111:15	molecules 79:11
mean 70:15	98:13 148:24	Midway 58:12	mistakes 85:23	Monday 154:19
100:9 121:3	members 17:15	migraines 56:19	misunderstan...	money 71:24
127:4,23	17:17,18 19:11	mile 94:4	166:13	76:13 110:6
128:12 136:1,18	28:24 35:12	miles 87:20	mockery 110:9	monitor 24:5
153:20	45:19,20	91:20 94:3	model 71:1 83:5	80:13,16 136:7
meaning 163:7	108:24 109:19	113:12,13,13	96:10 100:5	140:9 152:8
means 9:19 13:3	Memorial 122:9	163:14,15	104:17 109:15	164:4,8,10,24
80:17,18,18	mention 21:17	million 10:3 15:4	111:20 134:2,4	monitored 24:3
141:22 147:8	124:18 138:24	34:13 77:8,22	134:13,17,24	97:24 163:5
168:6	161:9	78:14 100:14	136:17,18	monitoring 7:2
measure 24:16	mentioned 8:21	109:13 110:11	142:3,11 144:12	10:18 13:17,19
81:19 135:19	97:2 124:23	112:18,19	145:3	15:15 23:19,22
136:5	139:2	135:23 136:20	modelers 111:6	24:18 25:8,19
measured	mentioning	139:4	142:16	38:6 69:12
143:22	43:16	millions 41:5	modeling 15:2	80:18,20 82:5
measures 38:21	merely 145:2	mind 120:17	34:10 37:1	82:12 85:13
165:3	mess 53:14	minds 156:24	70:21,22 83:7	92:11,20,22
measuring	message 158:3	Mini-Max 43:10	95:15,20 96:5	107:4,17
92:14 141:11	messed 33:4	minimal 62:5	96:9 104:15	135:20 136:4
mechanical	met 28:5 34:6	minimum 17:9	108:14 109:11	136:14 140:3
168:6	51:3 60:9	104:10	109:12,16,20	141:1 147:1,15
mechanism	70:23 131:12	minus 15:6	109:24 111:19	151:16,19
165:22	method 11:5	minions 92:6	133:24 135:12	152:22,22
medical 43:4,17	30:22 33:20	minute 80:4	135:14 140:6	153:9 160:24
43:20 99:11,12	42:2 51:11	81:14,16,19,24	142:17,24	monitors 23:21
122:19 149:23	61:12,19 62:12	128:4,4 136:9	143:11 144:17	47:15,18 82:12
medicine 98:15	62:16,21 81:11	163:11,16,24	144:20	85:11 164:5
98:16	89:9 132:1	165:11	moderate 2:4	monopoly 71:19
meet 30:13	140:21 163:8	minutes 5:10	moderator 16:9	month 79:3
meeting 1:3,12	163:12	52:8 66:12	16:11	90:20,24
2:5,6,7 3:6,15	methods 24:17	67:1 127:5	MODERATORS	92:23
5:21 16:8,14	55:12 69:12,15	130:16 165:12	1:12	months 20:11
16:22,24 17:14	89:4,5,5,10	miscarriage	modest 75:5	56:4 92:17,19
17:21 18:1,6,7	131:14	56:20	modification	92:24,24
18:11 45:18,23	mic 61:6,9	mislead 51:18,18	63:16 157:13	93:14 94:6
46:20 47:9,10	98:10,20	mispronounce	modifications	120:8

STERIGENICS FORMAL PUBLIC MEETING 8/1/2019

moot 141:15	116:7 118:7,16	negative 13:4	nightmare 19:7	74:1
moron 110:4	118:20 119:4,6	81:23 82:4	nights 157:21	observed 38:12
Morton 156:19	119:20 133:13	141:3 157:20	nine 43:18	38:19 54:22
158:8,13,14	133:14 137:17	163:4,6,7	118:21	obtain 8:8 55:4
mother 94:2	145:8 146:12	neglect 50:8	nitrous 71:10	obtained 42:8
137:23	146:13 148:17	negotiate 36:21	noes 91:5	obtaining 4:4
motives 63:3	148:20 150:14	133:17	noise 17:8 84:18	9:7
move 52:6,14	150:15 154:14	negotiated 19:11	non-Hodgkin's	obviously 85:11
75:7 76:16	158:13 161:6	20:12	102:2,7	105:13
77:24 119:24	162:6,10	negotiating	nonprofit 122:16	occasions
120:12 144:6	names 43:18	157:9	note 17:19	157:20
145:13	Nash 103:6,23	negotiations	73:23	occur 41:24
moved 27:7	104:1,1	64:17	noted 90:17	89:18
91:20 122:5	nation 19:15	neighborhoods	notice 18:5	occurred 89:17
movement	95:11	113:10	74:19 103:18	offended 28:16
163:22	national 96:23	neighboring	167:5	offensive 110:5
moves 141:9,9	nationwide	119:10	noticed 78:18	offering 59:17
moving 53:4	76:9	neighbors 40:5	notices 45:24	offers 39:2
128:20 141:17	natural 61:14	neither 51:13	notification	office 1:16,20
multiple 108:15	117:20 118:2	nervous 158:19	156:14	6:15 7:4 75:7
multiply 135:23	140:18	NESHAP 14:15	notified 4:20	102:15,22
Municipal 64:6	NDO 63:2	63:14	notify 12:1	103:2 108:22
Murphy 168:3	Neale 49:11	never 25:10	notifying 156:1	108:23 121:2
168:21	nearest 115:8	57:1 74:23	November	Officer 1:14
Musch 88:17	necessarily	76:21 81:4	63:18 157:11	official 21:13
mutagenic	32:18 114:22	85:20 91:21	Noxilizer 71:9	87:16
158:23	necessary	130:23	number 15:6	officials 18:16
	36:17	new 2:20 7:13	16:18 18:15	48:22 108:21
	Ned 159:21	9:4,10,10 12:9	25:22 36:11	109:10 120:22
N	need 6:4 16:4	12:13 13:10,13	70:4 78:5	121:4
N-a-s-h 104:2	18:7 20:14,16	14:9,20 15:8	105:1 109:7,8	oh 48:7 49:1
N-e-a-l-e 49:11	20:18 23:5	20:9 21:6	109:12 144:3	84:6 92:12
name 2:1 5:3,4	25:2,17 44:16	24:18 72:5	148:6 150:21	109:14 122:3
5:6 6:7,24	48:11,18 61:16	100:17 102:8	numbers 72:9	okay 2:3 18:12
18:20 19:1	73:2 109:5	102:21 109:7	77:7,14 81:3	29:2 46:14
36:4 40:13	111:2 123:24	122:9 124:20	138:18 144:9	52:5 61:5 74:3
45:11 49:8	133:18 146:2	125:7 131:14	147:3,4,6,9,17	84:2,6,16
52:21,22 53:5	162:2	133:8 139:22		87:11 98:7
53:16 55:22	needed 19:18	144:9,13	O	99:24 101:8
57:18 58:11	124:10 135:3	newborn 138:6	O 63:14	105:24 108:3
63:9 66:24	136:17	News 146:6	O'Hare 154:12	110:13 112:6
77:5 78:10	Needless 51:13	NFPA 88:1,4,8	156:18,20	117:13 126:19
85:1 86:21	needs 29:12	88:19,23	157:24	127:16 130:16
87:14 90:5,7	35:21 48:3,6	night 70:16,16	Oak 75:7 121:12	133:11,23
94:1,2 98:12	62:22 71:6	113:5,17,21,22	121:23	134:12 135:17
101:14 103:7	128:19 133:24	114:6,19,21,23	obligation	137:8 139:19
104:1 106:14	139:9 163:13	night's 157:16	27:20 68:23	145:9 150:10
108:17 114:7				

STERIGENICS FORMAL PUBLIC MEETING 8/1/2019

162:2,3 old 56:7,13 87:7 114:8 118:21 149:12 on-site 8:7 89:6 136:5 once 6:5 19:5 27:9 35:9 38:8 70:24 74:24 136:7,8 151:17,21,22 152:20 once-a-calen... 10:13 once-in-time 55:12 ones 80:19 116:11 ongoing 23:14 23:16 82:7 124:1,20 open 19:23 28:3 48:1 78:21 79:22 80:4,10 82:2 82:2,3 91:3,7 92:19 98:5 102:21 103:14 103:17 127:7 135:2 153:2 155:15 166:4 167:3 opened 3:4 164:14,20 166:2 opening 61:14 73:17 118:2 121:23 140:19 140:22 164:17 openings 117:20 162:14 opens 164:11 operate 52:1 60:2 76:20 134:7 160:2 operating 28:6 38:10,11 39:8	50:9 54:20,21 60:7 79:5 operation 12:22 37:11 38:24 143:13 operational 13:19 operations 2:16 14:14 38:15,18 39:17 50:18 60:6 89:2 operator 8:7 51:4,6 opinion 88:11 160:9 opportunity 37:8 54:9 145:15 oppose 36:7 opposed 70:13 opposes 40:16 opposing 48:13 option 22:23 34:16 39:3 53:9 optional 164:7 options 157:5 oral 7:23 orange 57:24 161:15 order 10:22 14:4 20:2,7 21:4 34:22,23,24 35:1,4,9,10 44:15,22,23 45:1,6 61:17 75:6 76:9 109:1 112:12 133:16,17,20 133:22 134:9 157:22 orderly 112:12 orders 120:19 organization 5:8 50:19 107:14 121:8,14 originally 61:19	outburst 16:10 28:23 29:5 46:18 60:17 60:23 64:23 65:2,7,21 66:7 66:10,15,17,20 67:7,15 69:8 75:10 80:15 83:20 84:9,13 84:22 91:4 94:15 95:21 96:1,4,7,11 97:17 108:5 111:14 112:5,20 113:3,9 114:14 115:1,4,7 125:3 125:5,13 126:11 128:1,3 128:18 129:18 130:2,6 141:5 148:13 152:12 152:24 outbursts 16:16 outcome 21:11 143:2 168:13 outdoor 87:24 outdoors 56:7 outer 132:6 output 123:2 outrageous 110:8 138:17 outside 16:5 26:23 27:16 81:21 88:9 89:3 90:13,16 90:18 97:15 99:22 114:20 134:21 163:7 163:19 ovation 56:1 oversee 159:18 160:2 overseeing 88:19 overtime 154:13 overwhelming 50:12	owe 146:7 owes 36:13 owner 8:6 oxide 9:19,21 9:24 10:2,17 10:21,23 11:3 11:12,21 12:4 12:10,15 13:9 19:15 26:22 27:6 30:4 31:5 33:3,5,6 36:9 36:12,18 37:6 37:18,22 38:1 38:5,13,24 41:2 42:22 43:5,22 47:16 63:13 64:3,9 69:5,13 71:10 71:12 72:7 77:11 88:6,10 88:14 89:1,3,9 97:13 99:4,4,8 100:3 105:15 106:20 113:16 121:24 122:6 122:14,18,23 123:6,9,19 125:9 131:2,10 131:12,20 159:6 oxide's 87:24 122:21 oxygen 27:2	32:16 59:24 63:15 64:10 65:17 87:24 168:7 pages 23:14 30:1 pain 56:24 painful 99:2 Palisoc 137:15 137:17,21 138:16 139:8 pancreas 157:19 158:19 panel 17:16 144:5 157:18 158:2 paragraph 24:12 88:2,8 88:19,20 parameters 24:2 Pardon 140:13 parents 113:7 park 74:21 parks 72:12 part 31:17 46:5 46:6 68:11 76:21 92:5 103:15,16 107:3 118:3 126:6,8,10,12 126:14,15 128:20 151:13 155:1 partial 117:18 partially 21:21 participating 132:9 particular 30:8 31:20 37:19 95:3 particularly 22:11 30:14 35:17 37:19 parties 168:11,12 parts 10:3 135:23 136:20
--	--	--	--	---

P

P-a-l-i-s-o-c

137:18

P-a-u-l 160:18

P.E 1:17

p.m 1:10 167:8

pace 163:15

pack 100:1

packaging

132:7

packs 132:6

page 23:7,9,9

24:7,8,12

STERIGENICS FORMAL PUBLIC MEETING 8/1/2019

party 73:12	123:3 136:21	23:13 24:9,14	134:23,24	128:24 129:2
pass 6:7 53:6	159:19 161:14	25:4,5,23	135:5 137:4	129:4,6,8,16
108:2 118:15	161:17	26:2,18 28:21	138:20 139:10	129:20 132:11
129:12	perfectly 22:9	29:16,20,22	141:13,16,18	139:14,18
passed 7:13	perform 111:18	30:1,11,24 31:1	142:8,11	150:7,18 153:1
19:10 56:7	performance	31:10,14,17	144:24 146:24	158:12 163:17
161:23	161:3	32:7,14,15,19	150:3 151:18	163:18
passing 58:3	performed	33:24 34:3,7	152:4,14,16	personally 28:7
patient 99:24	89:21	34:15 35:8,19	153:17 155:9	151:3
Paul 158:11	period 3:2,14	36:22 37:10	157:10 160:10	persons 16:21
160:18	17:2 18:2 50:2	37:15,17 38:2	162:16 164:9	17:20 159:9
Pause 65:22,23	78:19,20,24	38:6,9,14 39:2	165:9,11,23	pertains 31:19
Pay 115:24	79:3,3,6 92:11	39:4,5,8,20	166:10	PET 102:6
paying 81:3	92:20,22	40:3,17,20	permitted 10:21	petitioner 47:3
PCE 63:12	127:7,8,17,22	41:4,14,18	90:23	PhD 159:14
pending 35:8	146:17 155:14	47:21 49:20	permittee 14:6	Phil 104:5
people 6:1 16:19	167:3	50:17 51:23	permitting 2:19	phobia 59:8
22:17 26:4,14	periods 79:7,7	52:16,18,18	36:11 100:17,17	Phoenix 122:20
27:4 29:3	permanent 9:18	53:21,23 54:3	134:21 141:15	phone 64:18
35:2,7,8 36:13	13:19 37:23	54:4,12,13,16	peroxide 43:7	phones 6:10
40:4,13 42:21	38:19 44:20	54:19 55:1	43:24 99:18	phrasing 117:12
44:12 47:2,11	61:18 79:18	56:22 57:5,9	122:12,24	physician 98:15
50:1 52:15	81:6 116:21	58:3 60:3,4,5	person 16:6	149:22 150:2
56:14 59:5	117:1,5,7,9	60:7,12,13	21:24 48:23	picture 154:3
61:7 68:6,8	118:3 140:11	61:23 62:20	53:1,3,4,13	pig 87:21
72:1 74:5 76:9	permeability	64:10 65:17	56:12 58:6	pigs 26:5
78:5 84:7	132:5	66:3 67:17,20	61:1,3,5,9	place 1:6,6 9:23
85:17 86:9	permissible	68:1,2,15,15,16	65:12,22,23	27:9 118:1
91:6 109:4	29:23	68:17,22	73:10,11 78:2	168:7
110:3,19,24	permit 1:4,18	69:17,21,23	79:21 80:9,16	places 113:15
111:16 112:23	2:9,14,24 3:3	70:1,3,4 71:5	81:15 84:10,14	placing 41:21
123:22 124:19	3:8,9,13,19,21	72:4 73:6	84:15,21 94:16	Plaines 1:20
127:3,4 129:14	4:4,6,9,17 5:12	77:24 78:17	95:22,23	plan 28:2 38:3
130:1 138:12	6:16,22 7:8,11	79:18 80:12	96:2,3 98:5	39:23 122:16
145:14 149:7	7:21,22 8:3,8	82:4 87:23	98:10 100:11	130:17 149:11
150:8 152:6	8:13,16,18,24	90:21 93:3	107:13 108:2	planned 145:22
153:8,21,22	9:7,9,15,16,18	96:22 97:8,16	108:10 111:11,13	plans 54:10
155:6 156:22	10:4,4,9,14,19	102:17,20	111:21,23 112:1	plant 24:23
157:14 158:1	11:15,17,22	104:19 106:1	112:3,10,13	160:21 161:14
peracetic 122:11	12:6,12,17 13:2	107:3 114:21	113:23,24	plants 76:9
percent 9:21	13:3,10,16,18	116:9,10,10,11	114:12,15,17	161:4
10:2 13:7 14:13	13:20 14:1,3,5	116:12,16,17	115:14,21,24	plasma 43:7
14:16 33:19	14:11,20 15:9	119:13 121:22	116:12 125:6,11	122:12
38:12 47:17,19	15:20 16:4	124:16 126:6,8	125:14,18,22	play 123:24
48:8 54:23	17:12 20:9,13	126:15 128:10	125:23 126:2	played 56:6
116:20,24	21:6 22:6,11,16	133:21 134:2,6	126:7,9,10,17	72:12
117:6 122:23	22:22 23:5,6	134:9,15,16,17	128:2,10,14,15	please 2:6 4:10

STERIGENICS FORMAL PUBLIC MEETING 8/1/2019

4:13,14 6:6,9 17:4,6,8 40:21 44:4 45:5,8 56:15,18,21 57:5 65:4 66:14,24 77:10 92:8 102:10,17 118:9 118:22 124:15 140:1 142:4 148:20 154:3 154:7 plenty 149:17 Ploskonka 133:11 plummeted 44:16 120:14 plus 86:10 PMA 132:1 podium 52:23 82:18 86:16 point 10:1 13:12 14:24 22:4 24:14 25:20 47:14 61:13 62:1,10 68:14 75:17,24 92:13 92:14 108:9,12 120:13 125:15 126:13 141:14 141:16 142:19 145:5,12 157:4 166:7,14 pointed 26:9 32:24 33:8 41:17 points 15:7 64:4 poison 73:6 76:22 114:9 149:6,6,16 poisoned 73:5 poisoning 76:6 159:8 polling 141:22 polluter 19:19 polluting 19:24 pollution 1:4	13:6 36:20 37:2,5 38:11 38:20 54:20 65:19 98:3 120:17 160:23 portion 8:4 posed 59:12 posing 60:14 position 51:22 possibility 39:19 86:5 134:3 possible 5:13 6:2,2 20:1 29:13 88:16 129:23 140:15 140:16 possibly 30:10 potential 37:18 54:14 69:24 potentially 134:22 pound 72:24 pounded 87:1 pounds 13:11 14:19 64:1,5 72:11,16 78:23 79:9,10,14 90:23 91:1 92:14 93:1,9 100:8 109:7,9 110:10 134:4 135:19,24,24 power 161:4,14 ppm 13:7 practice 111:7,7 practices 49:24 50:6,8 51:17 88:15 precondition 41:17 predicated 77:8 preferably 37:24 pregnant 114:4 preliminary 5:22 premature 31:11	32:14 35:20 premise 76:17 preparation 132:24 prepare 54:17 prepared 17:7 53:8 135:11 145:22 159:16 preschool 94:4 present 5:17 112:8,8,14 presentation 6:14 7:6,9 15:18 104:13 106:18 presenter 46:22 presently 29:16 president 104:5 119:8 155:3 press 121:18 165:9,13 pressure 13:4 38:18 80:13 81:7,20,21,22 82:4,6 105:4 105:6,8,13 107:13 141:4 163:5,6,10 164:5,13 165:2 165:10 Presumably 62:21 presume 22:15 pretend 149:2 prevent 38:10 54:19 87:3 166:4 preventable 38:23 previously 14:15 24:19 prime 35:11 principal 95:7 printing 62:20 165:9,13 prior 50:6	104:15 140:3 private 73:12 pro-business 28:15 probable 144:4 149:20 probably 65:6 76:18 82:20 85:20 96:19 166:11 problem 26:10 38:8 70:17 75:20,21,22 128:21 155:1,11 problematic 104:9 106:6 problems 56:20 123:22 procedures 18:10 159:24 proceed 4:13 18:14 53:23 139:23 proceeding 167:8 proceedings 73:13 process 18:10 27:5 31:17 45:16,17 46:3 46:19 47:9 68:18 89:21 89:23 96:23 97:13,19,22 132:9 processed 62:6 processes 124:21 processing 110:4 produce 13:8 produces 11:12 product 11:2,6 27:21 29:24 30:8,22 31:3,6 31:8,10,14,21 31:24 32:10	62:1,5,6,10,21 63:1 64:12 131:1,9,12 144:21 product-based 30:17 production 76:7 76:8 products 11:8 31:5 42:3,12 125:21 professional 88:11 160:22 161:19 professor 98:15 profits 51:20 program 54:17 progressed 112:11 prohibited 10:23 prohibits 41:23 project 17:4 projects 43:15 prolong 143:15 prolonged 17:15 promising 33:18 promptly 38:4 54:17 promulgated 4:2 proof 40:24,24 proper 60:6 proposal 60:4 75:5 76:16 102:20 propose 44:9 proposed 24:20 25:9,19 29:22 30:9 32:15 37:4 42:4 61:19 89:15 165:23 proposes 24:16 31:3 161:16 proposing 105:5
--	--	--	---	---

STERIGENICS FORMAL PUBLIC MEETING 8/1/2019

<p>protect 19:22 36:22 39:10 40:4,21 45:8 50:20 62:17 84:11,14,15 85:9 86:11 101:21 102:10 102:17 104:17 105:7 110:24 118:22</p> <p>protected 35:3 55:7 89:21</p> <p>protecting 106:8 112:4 121:17</p> <p>protection 1:1,13 1:15,17,20 2:21 3:18 4:1 6:20 7:16 9:3 19:17 19:21 35:9 40:21 45:8 67:22 84:10 97:9 101:17,20 102:9,16,21 113:16 123:18</p> <p>protective 55:5</p> <p>prove 42:22 75:17</p> <p>proven 106:3 124:13</p> <p>proverbial 41:22</p> <p>provide 5:14 11:1 17:20 36:16 37:15 54:5 73:15 124:5 125:1,8,16 126:4 132:19 132:23 133:1,7 133:9</p> <p>provided 5:22 18:5 125:18 135:15 140:22 167:5</p> <p>provides 88:4,9 88:23 158:18</p> <p>providing 121:19</p>	<p>167:4</p> <p>provision 10:3 11:15 60:6 61:20 162:13 162:16</p> <p>provisions 2:19 3:24 7:19 8:3 9:17 10:8,13 12:8,16 13:24 15:19</p> <p>proximity 159:9</p> <p>proxy 30:21</p> <p>PTE 62:22,23 63:2 80:5 89:4,9,11,18</p> <p>public 1:3 2:5 2:24 3:2,3,6 4:7 6:17 17:17 17:18 31:18 32:11 36:23 37:8 38:22 39:11 42:10,11 45:2,23 46:7 47:2,10 49:15 49:17 50:8,12 51:18,24 52:7 52:8 54:9 55:5 69:1 70:2,3 123:17</p> <p>publicly 37:12 54:1 71:2</p> <p>publish 32:11</p> <p>pulls 140:7</p> <p>pump 92:16</p> <p>pumped 93:8 134:4</p> <p>pumping 136:10</p> <p>pumps 63:17</p> <p>purpose 3:6 15:18 71:11 89:13,15</p> <p>purposes 10:24</p> <p>put 8:15 9:13 13:4 21:8 45:24 48:14 51:20 60:15 93:3,10</p>	<p>104:24 105:7 125:10 135:2 146:4 156:13 161:8 164:18</p> <p>puts 105:14</p> <p>putting 13:12 93:2 103:18</p> <hr/> <p>Q</p> <p>qualified 142:14</p> <p>qualify 31:19 62:11</p> <p>Quality 87:18 96:17 98:14</p> <p>quash 71:23</p> <p>question 5:11 6:6 25:7 26:24 47:8 51:2 52:10,12 60:10,14,14,19 60:19 63:3 65:16 67:9,10 69:16 73:22 74:4 78:6 80:6,7 81:6 82:22 90:9 91:2 92:10 95:14 97:6,11 97:18 103:10 113:4 114:5,16 114:17 116:19 116:23 117:11 126:23 127:1 127:19,20 131:11,13,17 132:8 138:3 139:21,23 140:5,14 141:7 141:19 142:1,23 143:5 146:2,3 146:4,9,10,23 147:6,19 153:7 159:19 160:15 162:9</p> <p>questioning 143:16</p> <p>questions 3:11</p>	<p>4:16,23 5:15 5:20 6:4,17 16:3,16 17:11,21 17:22 18:9 45:15 47:3,12 48:18 51:2 52:6,9,19 67:2 78:16 87:22 89:14 92:1 94:17 104:3,4 127:4 127:8,9,24 128:7,9,11 130:15 131:4 132:4 139:22 139:23 146:19 150:23 154:23 162:1,4,19 166:12</p> <p>quick 43:1 82:22 101:16 127:1 140:1 163:2</p> <p>quickly 19:23 19:24</p> <p>Quincy 2:17</p> <p>quite 65:6 85:5 85:16 86:8 120:7</p> <p>quote 60:1 73:23 104:5</p> <p>quoted 146:7</p> <hr/> <p>R</p> <p>R 81:1</p> <p>R-a-l-p-h 85:2</p> <p>R-a-n-d-a-l-l 57:19</p> <p>R-a-o 63:9</p> <p>R-e-b-e-c-c-a 137:17</p> <p>race 74:20,24 121:14</p> <p>rain 59:6,7,8</p> <p>raise 56:16,18 56:21 77:10</p> <p>raised 3:12 5:21</p>	<p>14:21 18:13 40:2 60:8,8 74:5 78:6 166:21</p> <p>raising 52:19 74:8 75:21</p> <p>Ralph 82:19 84:23 85:1</p> <p>Randall 55:21</p> <p>Randy 57:18</p> <p>range 147:18</p> <p>Rao 59:21 63:9 63:9 64:24 128:8</p> <p>rat 59:18</p> <p>rate 92:16</p> <p>raw 33:4</p> <p>Ray 119:18 121:12</p> <p>read 90:5 130:14 131:4 141:19 146:15 156:16 162:21 162:23</p> <p>reading 53:8</p> <p>readings 161:8</p> <p>ready 31:11,15 33:24 35:11</p> <p>real 46:6 47:10 59:10 120:4,13 127:1 132:19 136:19 154:21</p> <p>realistic 148:10</p> <p>reality 59:9 99:4</p> <p>really 25:8 33:14 48:6,15 53:14 82:20 84:21 85:5,7,8 92:16,18 93:13 93:13 97:5 100:7,9 103:10 108:13 133:22 134:17 135:6,6 136:16,18 145:14 147:3 148:6 150:20</p>
--	--	---	--	---

STERIGENICS FORMAL PUBLIC MEETING 8/1/2019

150:23 152:8 153:16 154:2 156:20 reason 17:19 23:5 25:22 27:24 103:18 reasonable 73:13 reasons 29:18 159:19 160:11 165:16 reassured 105:19,21 Rebecca 137:15 receipt 3:20 8:23 receive 15:21 104:14 received 2:13 2:23 3:13 18:8 47:22 48:10 54:11 96:24 105:21 receiving 165:22 recessing 141:24 recognition 5:13 recognize 162:18 recommendat... 68:9 93:17 recommendat... 89:23 159:23 reconsider 55:15 record 3:14 18:12 32:16 74:6,9 77:15 78:4 101:10 108:18 126:20 146:13,16 148:20 162:7 162:21,23 recording 165:10	recordkeeping 13:21 151:24 records 152:17 152:18 Rectal 154:17 red 33:22 reduce 9:24 14:21 84:4 94:19 122:13 122:17 reduced 15:13 15:16 83:10 100:8 reducing 122:21 reduction 11:12 11:19 13:8 30:4 37:5 42:5 136:21 refer 95:15 111:16 reference 14:24 15:13 141:23 referenced 2:10 23:7 24:19 165:8 refers 63:22 reflect 25:6 42:5 73:24 78:4 refuse 75:3 regard 119:13 regarding 3:12 4:16 17:11 18:9 19:15 20:9 21:3,6 26:21 47:14 64:14 116:19 130:24 133:14 regardless 14:10 regards 100:5 region 21:14 26:4 28:15,20 33:6 registered 6:3 registration 4:11 4:13,15,18	regular 55:16 regulated 63:12 63:13 regulating 106:21 regulation 73:14 137:3 regulations 4:1 9:4 14:7 67:22 68:4 100:19 155:21 160:11 regulators 19:17 22:7 51:18 regulatory 138:14 160:1 reiterate 165:14 reject 68:11 161:18 rejected 161:19 relate 16:4 related 20:6 64:8 168:10,11 relations 1:16 6:15,19 7:4 release 36:8 48:13 54:18 121:18 released 123:20 releases 38:5 62:18 140:24 relevant 5:20 7:21 8:3 12:13 reliable 25:20 reliance 122:14 reloaded 140:8 relocated 59:12 relocating 75:20 rely 54:2 82:11 110:24 143:7 relying 32:22 147:8 remains 155:15 remarks 17:7 53:8 remember	158:3 remind 127:6 167:2 removal 81:13 remove 45:6 105:2 removed 27:17 62:23 63:1 103:15 105:11 reopen 40:17 41:4 45:7 72:23 73:16 76:15,18 82:14 85:20 92:23 138:21 139:10 reopens 92:15 repair 38:3 repeat 138:7 replacing 71:11 report 27:23 33:2 159:20 reported 79:24 81:1,2 168:5 reporter 16:14 17:7 18:20 20:20 61:6,8 66:21 84:19 98:22 126:21 130:20 168:4 168:22 REPORTER'S 168:1 reporting 11:24 13:21 104:8 106:5 107:14 107:20 152:1 reports 37:14 54:4 64:3 81:2 109:21 152:10 represent 5:7 29:9 37:5 44:7 51:15 90:11 118:21 121:13 representative 18:17,18,21,24 19:2 20:18 21:1	22:14,20 23:4 26:1,7 28:11,14 29:6,7 33:17 34:2,12,20 40:8 41:16 49:7 59:5 161:5,9 representatives 49:12 120:22 representing 45:2,13 168:12 represents 19:3 Republican 28:16 request 51:24 70:24 requested 116:15 requests 21:1 60:2 require 5:16 38:2,17 43:11 43:12 46:4,16 54:16 55:14 75:6,8,11 92:22 required 2:18 4:5 9:8 10:15 29:19 46:6,21 54:8 55:3 80:13 125:8,17 131:24 152:19 requirement 61:24 131:22 162:12 163:8 requirements 4:3 8:11 9:7,11 12:3,4,12 13:22 14:9 15:10 23:11 38:6 55:12 119:13 152:1 159:23 requires 8:22 10:20 14:16 15:8 37:7,15 38:7,14 46:7
---	--	---	--	---

STERIGENICS FORMAL PUBLIC MEETING 8/1/2019

54:5 82:5 151:19,21 162:13 163:12 Reschedule 47:10 research 43:2 94:20 95:12 124:1,3,10 141:20,20,21 141:21 142:21 researchers 157:1 reside 22:17 resident 21:13 57:20 82:22 87:19 94:12 96:15 102:12 103:9 114:8 137:18,21 160:19 residential 59:13 residents 44:20 47:6 49:21 50:11 51:21 55:6 89:20 90:11 102:11 119:15 residue 85:15 resignation 64:24 resistant 43:9 Resolution 43:21 respect 16:13 146:8 respectful 16:12 respiratory 41:10 56:19 respond 3:11 88:22 95:17 127:10,18 128:12 132:14 162:18,24 response 5:15 5:16,22 21:2 52:10 60:15,21	126:22 128:12 130:24 131:5,6 156:2,6 162:24 responses 5:20 126:21 responsibility 14:6 responsible 57:11 161:2 Responsiven... 3:10,16 4:6 5:18,19 95:17 rest 21:10 30:19 58:23 106:2 115:11 119:14 154:19 166:7 restarted 61:4 result 33:6 143:12 results 33:20 33:22 34:14 105:20 resume 36:12 39:17 50:18 60:5 resumes 37:10 retired 98:14 119:21 120:2,3 retirement 101:24 return 16:7 82:15 returned 68:17 returning 121:16 revealed 49:23 review 3:1 37:9 54:10 67:13 68:3 94:24 97:4 104:15 111:10,19 124:12 155:16 revised 60:4 85:4 rewarding 71:3 Rhonda 116:2,2 Rianna 114:7	Richard 158:13 Rick 156:19 158:8 rid 45:1 Ridge 40:14,16 42:17 44:7,11 87:16,18,19 90:10,12 91:19 96:15,17 98:14 99:3 103:9 113:10 148:23 149:15 154:24 ridiculous 75:16 76:16 right 17:13 18:24 21:9 22:4 25:22 26:17 28:12,15,19,20 34:18,23 51:16 52:24 55:4 56:18 58:12 66:5 67:11 73:10,11 74:21 79:10,21 83:22 91:21 102:1,22 107:21 110:4 123:7 126:4 129:4 130:5 140:13,20 142:9,12,20 144:24 152:20 153:15 161:16 161:18 rightfully 53:20 rights 71:15 73:19 86:7,10 rising 106:16 risk 15:1,1,4,5,14 77:8,13,20,23 78:1,2,11,14 94:14 97:1,12 99:9 100:7,15 100:16,20,20 105:3,10,12,14 105:16 109:13 110:12 112:18	112:19 137:2,3 138:12,14 142:13,13,20 142:20 143:9 143:10,11,17,19 144:17 145:1 risks 51:24 75:12 76:3 149:19 road 106:17 Robert 137:8,9 137:11,14 robots 26:16 role 144:24 rolling 165:15 Romaine 1:17 6:21,21 67:13 67:19 68:8,14 68:20 69:2,7 69:9,19,23 73:23 79:2 83:7,15,18,23 84:3 92:21 93:16 94:23 95:12 96:5,8 111:15 112:7 134:8 135:10 143:4,18 144:16 room 7:13 14:17 17:9 18:22 21:10 22:1 27:9 56:15 61:8 62:17 75:14 76:4 105:18 109:4 138:5 164:21 164:22,23,24 rooms 12:23 62:15 rough 21:21 routed 15:11 routinely 50:10 rubber 32:8 rule 137:2 144:1 150:2 rule-making	96:23 97:13 rules 12:5,6 23:23 47:9 66:16,19 67:6 rumors 64:16 run 58:13 59:6 74:20 141:18 142:7 <hr/> S <hr/> S-c-h-i-a-p-p-a 90:8 S-c-u-m-a-c-i 85:2 S-r-e-n-i-a-w-s... 116:4 S-t-e-v-e 116:6 S-t-i-f-f-l-e-a-r 49:10 Sadly 19:20 safe 43:24 57:24 59:16 75:19 76:14 77:8 79:12 91:9 94:13 106:3,4 110:11 110:17 113:12 113:23 114:2,5 121:19,19 124:6,13 138:4 138:8,12,22 safeguard 76:12 safely 99:17 safer 71:7 131:22 safest 88:15 94:21 95:10 safety 24:11 49:15,24 50:8 50:11 51:20 71:6 94:8 Saint 123:11 sale 120:7,7 Samaritan 123:7 samples 33:2 Sandy 84:23 86:18,19,21 Sargent 161:2
--	--	---	---	---

STERIGENICS FORMAL PUBLIC MEETING 8/1/2019

<p>sat 72:11 105:18 108:8,16,21 satisfied 4:4 9:8 11:17 Savini 146:6 saying 11:16 79:13 82:24 99:23 110:3 143:23 147:15 148:4 says 23:15,17 23:24 27:6 28:9 31:21 65:19 73:10 136:19,20 143:2 scan 102:6 scared 91:8 153:20 scenario 89:22 137:2 scenes 106:8 Schiappa 90:6 90:7 91:6 Schinpp 87:13 school 57:6 106:17 149:12 schools 57:7,7 72:12 99:22 science 29:13 101:1,4 136:2 scientist 105:9 144:1 149:3 scientists 101:2 101:4 144:2 scope 97:15 Scrap 47:9 screen 7:6 scrubber 95:5 95:5 164:23 scrubbers 12:24 Scumaci 82:19 85:1,1 seal 10:22 14:3 20:2,7 21:4 34:22,23,24 35:3,9 44:15</p>	<p>44:21,23 45:1 45:6 116:20 116:24 117:5,6 117:9,17,18,20 117:21,23 118:1 120:18,18 133:16,17,19 134:9 140:15 157:22 sealed 26:23 27:16 seals 116:19 seat 52:23 53:2 second 30:1 42:3 47:14 52:22 53:1 54:13 62:16 71:3 79:3 102:7 131:11 secondly 37:16 99:10 seconds 113:2 132:11 secrecy 36:21 secret 31:17 section 1:18 2:20 3:17 6:23 7:16 8:4,12 9:4 10:6,22 12:3 12:13 14:9 23:8,13,15,21 24:1,4 26:20 34:2 41:15 52:7 68:2 73:9 149:1 162:12 security 119:23 120:4 165:6 see 8:5 26:13 47:21 59:15 65:19 91:22 109:16 120:9 143:11 147:17 156:6 162:15 165:6,23 seeing 156:21 seeks 43:21</p>	<p>seen 142:5 154:22 seizures 151:6 selected 60:13 self 85:11,13 self-driving 91:13 self-employed 102:12 self-reported 72:10 self-reporting 80:19 selling 120:11 semi 117:2,4,13 117:22 Senate 7:14 19:10 send 119:9 sending 156:2 157:8 senior 106:16 sense 26:16 35:7 57:8 76:19 93:5,15 150:1 sent 48:14 94:3 sentence 58:2 58:4 September 3:21 series 79:6 95:9 serious 36:11 39:12 61:11 75:18 Seriously 113:1 serve 49:14 served 145:20 serves 49:16 services 49:17 121:6,7 set 12:5,11 145:16 168:7 168:15 settle 65:11 settlement 20:2 20:6</p>	<p>seven 82:8 154:18 sham 77:14 Shame 96:2,3 shameful 70:18 Shapely 159:21 share 39:22 shared 36:24 37:3 74:2 she'll 55:20 63:6 78:7 82:18 86:16 103:5,23 106:12 118:19 137:15 139:15 145:10 150:11 154:11 156:18 shed 160:10 sheet 66:24 shift 123:5 shifted 123:9 ship 62:23 shipping 62:2 64:10,12 165:22 shirt 74:20 157:19,24 158:1 shirts 74:23 158:5 shocked 108:8 108:11 shocking 72:17 shooting 128:20 short 28:4 32:5 78:23 132:19 short-term 38:23 shortcomings 121:3 Shorthand 168:4,22 shout 29:2 show 74:9 showed 47:19 104:17,18</p>	<p>showing 151:2 163:5 shown 35:13,15 158:22 shows 15:3 50:9 83:8 shut 27:17 28:24,24 47:17 79:20 80:8 sick 156:22 side 120:9 165:21 sign 66:23,24 121:22 signal 33:5,11 significant 3:11 5:20 62:11 significantly 122:13 signs 120:8,10 120:11 silence 6:9 Simon 114:13 115:17,17 simple 38:21 60:18 127:18 165:5 simplification 9:14 simply 50:10,14 50:20,21 143:7 single 13:12 26:10 64:5,6 77:17 78:2 sir 48:23 63:8 67:6 69:22 sit 59:1 69:16 77:19,22 109:23 110:21 139:21 site 31:4 48:14 sitting 17:12 67:23 68:5 82:10 situation 114:23</p>
---	--	---	---	---

STERIGENICS FORMAL PUBLIC MEETING 8/1/2019

<p>six 145:20 Sixteen 56:4 size 151:4 skeleton 58:24 skiing 56:6 Slavka 129:1,2,5 129:8 130:9 Slavka's 129:22 sleep 113:5,17 113:19,20,21,21 114:6,19,21,22 115:10 slide 8:5,9 15:8 143:18 slides 8:6 slowed 21:8 slower 163:16 slowly 17:5 56:4 smoke 99:24 100:1 Society 43:4,20 99:11,12 149:23 sold 120:8,10 solutions 118:9 somebody 56:17 80:2 142:4 146:1 149:15 son 56:13 138:6 sooner 44:11 sorry 11:19,23 46:13 58:9 79:11 86:19 89:19 112:21 112:21 114:18 120:24 136:16 sound 75:16 76:16 110:3 sounds 83:16 157:4 source 7:1 8:7 9:20 10:2,17 11:21 15:9 95:7 111:18 141:23 161:1 sources 2:19</p>	<p>12:10 37:18 speak 4:11,12 6:3 16:20 17:5 18:16,19 28:8 36:6 39:21 40:13 48:24 49:19 61:10 98:20 112:7 112:23 114:13 119:15 137:19 138:10 145:15 153:5 156:21 162:7 166:24 speaker 36:2 103:4 speakers 120:21 156:23 speaking 16:6 28:7 61:7 65:5 65:8,10 70:20 126:19 130:17 150:13 166:23 specific 27:11 51:2 71:11 specifically 23:5 88:8 109:10 111:17 spectometry 159:16 speed 163:13 speeding 51:8 spell 5:4 18:20 49:8 130:20 146:12 148:19 spelled 29:8 94:2 spellings 5:5 spent 110:7 spew 99:21 spikes 165:16 spilled 138:18 spills 138:17 spit 165:18 spoke 52:17 70:11,19 115:21 115:24 160:5 spoken 156:24</p>	<p>sponsor 74:24 75:1 sponsors 74:23 spouse 57:2 spread 93:9 spring 74:20 104:14 Springfield 19:10 115:6,9 159:7 Springs 21:14,19 119:8 squat 80:19 Sreniawski 116:3 Sri 59:21 63:9,9 St 122:19,22 stack 13:13 14:20 23:18 24:6 33:15 34:3,6,14 39:3 39:6,9 44:4 55:2,4,6 82:23 83:11 100:6,7 104:18 104:20 107:9 129:14 134:13 134:16 135:4 135:12,15,22 136:8,14,24 137:5 139:24 140:3,6 149:11 152:23 153:1 stacks 33:13 staff 5:17 6:12 68:2 82:10 111:10 116:10 151:22 stage 154:17 stamp 32:8 stand 59:1 71:17 94:10 standard 14:15 30:13 31:23 101:7 111:6,7 standards 28:5 29:13 30:16,17</p>	<p>34:5 35:18 51:3,5 88:5,5 88:24 96:24 standing 56:1 standpoint 60:20 stands 29:16 32:16 Starbucks 110:23 start 18:17 19:24 20:6 67:9 68:18 74:14 79:3,5 92:6 92:20 128:20 started 20:9 74:21 97:13 starting 93:4 state 5:3,7 8:21 14:7 19:1 28:3 28:20 29:6,21 43:20 49:7,12 73:9 88:12 99:12 108:17 127:2 138:10 146:12 149:1 149:23 160:22 162:6 168:4 stated 3:14 6:4 7:7 87:24 104:7 105:3,11 121:16,18 124:5 141:17 statement 21:18 24:3 30:11 50:13 69:9 90:17 106:5 statements 16:5 23:24 61:22 64:14 94:10 104:3 119:11 states 23:17 25:10 43:14 64:11 69:4 78:18 111:17 stating 22:23 80:24</p>	<p>station 27:8,10 110:23 statute 37:7 statutorily 97:3 stay 71:23 86:10 stays 59:4 steam 43:8,24 stenographic 168:5 step 153:16,18 stepped 92:9 steps 76:12 160:13 Sterigenics 1:3 2:9,10 12:10 19:4,14,19,23 20:6,9,12 21:4 21:5,11 22:6,18 23:1,11 24:10 24:13 27:19 29:12 30:8 31:3,9,21 32:23 33:10 33:12,14,18 35:4 36:8,12 36:20 37:15 37:21 38:3,7 38:15,17 39:2 39:8,16 40:3 40:10,17 41:1 41:14,23 42:11 42:23 44:3 45:7,21 46:7 46:21 47:4,16 47:20,24 48:12 49:22 50:2,9,13,17 50:22 51:4,5 51:10,15,17 52:1 54:5,16 55:3,4,14 57:3 58:13,15,20 59:9,13 60:1,2 63:19 64:4,8 64:17 68:17,21 69:4,10 71:4 71:14 73:16</p>
---	---	--	---	--

STERIGENICS FORMAL PUBLIC MEETING 8/1/2019

74:17,22,23 75:1,5,6,24 76:15,17,20,21 80:1,23 82:14 85:10 87:2,20 87:23 88:18 91:3,20 92:15 94:3,5,21 95:22,23,24 96:6,16 102:3 102:22 103:14 103:17 104:6 105:1 106:19 106:20,23 107:13 108:14 108:24 109:19 109:24 110:14 110:17 120:15 120:16 121:2 121:23 123:20 135:11 143:13 153:7 155:1 159:21 160:21 161:8,16 Sterigenics' 33:2 36:18 37:4 42:1 44:21 49:20 49:23 50:9 63:16 64:13 75:11 sterile 43:16 123:2 sterilization 2:16 9:19 10:2 10:24 11:4 12:21,22 24:22 25:1,11 27:12 29:22 30:22 42:2 55:13 63:14 88:7 89:1 95:4 97:19,22 99:13,17 122:1 122:21 123:1 124:20 131:14 131:20 132:1	161:12 164:6 sterilize 11:5 31:4,6 42:3 43:6,17 91:12 126:5 sterilized 11:3,8 42:12 sterilizer 164:24 sterilizers 164:7 sterilizing 63:17 126:3 Steve 116:5,6 Stifflear 49:1,2 49:5,9,9 50:16 51:13 118:13,15 stipulations 60:8 stomach 56:5 78:13 82:15 158:20 stop 19:13 36:17 45:20 65:5,10 74:17 76:7,8 96:16 108:24 109:19 111:2 130:12 stopped 159:11 storage 26:21 26:23 27:7,16 62:15 63:22 64:1 88:1,6,9 88:14,24 90:13,16,18 164:24 store 37:21 stored 26:22 89:3 storied 138:16 street 1:7 2:17 57:6 72:12,13 streets 120:9 strictest 19:14 stringent 11:19 30:23 165:12 strong 40:10 64:4 119:9	strongly 22:21 35:19 40:16 62:16 63:3 159:6 structured 2:7 struggling 108:13 113:7 Stuart 139:18 Studer 1:13 2:1,1 15:24 16:11 20:20 29:2 36:1 40:7 45:10 46:10,14 48:21,24 49:3 49:8 52:5 55:19 57:13,15 58:6,9 59:20 61:5 63:6 65:4,8,13 66:1 66:5,8,13,16 66:19 67:4,8 67:19 70:7 73:21 74:3,8,11 74:14 77:2,15 78:4 82:17 83:24 84:16 84:18,23 86:15,19 87:10 90:2 91:16 93:22 96:12 98:9,20,24 99:15 101:9,12 103:4,22 106:11 107:24 108:3,17 112:6 112:11,23 114:12,20 115:3 115:6,12,15,23 116:2 118:6,12 118:16 119:3,17 119:24 121:10 124:9 125:4 126:19 127:2 127:16,20 128:4,19 129:1 129:3,7,10,19 129:21,24	130:5,10,16,20 132:12 133:11 137:8,19 139:12,15,19 145:8 146:10 148:15,19,22 150:5,10 153:5 154:10 156:10 156:12 158:8 158:10 160:17 161:22 162:3,6 166:11 studies 71:16 142:2 158:22 158:24 study 72:19,20 142:5 143:1,2 163:23 stuff 103:11 135:7 sub-question 131:23 subject 2:8 10:22 16:7 73:13 submissions 37:14 54:4 submit 4:19 17:22 20:19 39:23 43:18 55:14 111:8,9 116:18 119:12 131:24 135:11 135:18 146:17 152:11 156:12 166:12 submitted 8:12 8:20 11:7 18:1 22:6 60:1 166:7 submitting 53:9 Subpart 63:14 Subsection 29:17 30:14,16 30:18 31:2,23 32:5,16 34:5 35:18	Substance 124:11 Substances 123:14 substitute 132:3 substitutes 43:5 substituting 122:24 substitution 43:22 success 122:20 successful 25:2 successfully 122:5 suck 156:23 suddenly 79:23 Sue 148:16 150:5 161:23 suffer 153:23 sufficient 163:24 suggest 35:2 52:9 159:6 suggested 75:13 suggesting 145:2 165:3 suggestion 93:17 suggestions 70:4 suing 73:18 suit 59:14 summary 3:10 3:16 4:6 5:18 5:19 95:18 124:4 159:16 supplement 132:1 supplier 11:2,6 42:10,15,20 131:19 132:22 133:1 suppliers 41:20 42:1,19 43:12 131:24
---	---	---	--	--

STERIGENICS FORMAL PUBLIC MEETING 8/1/2019

supply 132:5	T-a-n-o-u-y-e 59:23 162:11	target 128:20	10:12 13:15	therapy 58:23
support 19:16	T-o-m 74:12	tattered 160:9	32:21,23	thereunder 4:2
40:10 50:12	98:12	team 45:19	47:19 48:9,13	9:4 67:22
99:10 119:10	T-o-n-y 90:7	technical 88:18	48:16 83:14	thing 9:13 21:9
supporting	T-r-i-l-l-a 36:5	techniques 31:7	161:1,3,11	28:11,19 31:5
54:8	table 132:24	technology 11:11	tests 33:20	31:23 51:16
supposed 56:13	take 8:1 16:18	29:14 30:3,7	159:17 160:2	66:11 76:18
103:11 159:18	23:1 51:8 53:2	30:20,23	text 8:5	77:6 78:12
162:20 163:11	53:10 57:2	31:22 55:13	thank 15:24	84:8 99:19
sure 4:14 7:12	63:11 67:9	71:6,8,15,16,18	18:24 28:21	100:2 116:20
21:20 22:2	73:4 83:3	71:19,21 94:19	36:1 40:5,7,9	117:6,8 128:21
45:17 48:12	103:16 104:11	94:24 160:24	47:12 48:19,21	133:23 135:17
83:1 101:19	108:7 113:2	teeth 165:19	49:11,13 50:24	136:15 164:16
108:19 144:14	129:22 130:8	tell 42:17 77:19	52:3 55:17,19	things 12:18
144:15,19	135:22 147:4	80:17,17	56:2,2 57:13	23:17 41:24
147:14 150:8	160:14	85:23,24 86:1	58:4 59:20	43:3,6 46:2
152:15,16	take-home	111:21 113:13	66:14 70:5,7	53:4 124:24
163:2 165:4	158:3	114:4 134:23	74:7,10,16	134:21 151:8,13
166:13,16	taken 3:20 4:8	152:11 157:17	77:2 81:8	166:9
surgery 151:13	58:20 76:12	160:7	82:17 86:15	think 20:16,18
surrounding	97:14 132:7	telling 110:10,15	87:10 90:1,2	21:17 27:3,19
19:3 49:22	takes 58:20	110:17 117:22	91:14,16 93:21	31:22 41:21
50:1 55:7	79:14 84:12	144:9,11 149:7	93:22 98:7,9	46:4,5 47:5
Swank 139:16	163:19	ten 47:18 113:2	101:8,9 103:3	48:16 52:5
145:9	talk 15:1 62:7	teratogenic	103:20,22	60:15,24
Swedish 123:12	78:14 85:10	158:24	106:9,11	62:13 72:3,6
swirling 163:19	122:2 133:21	term 94:13,14	107:23,24	83:2 92:2,3,13
163:21	133:22 138:11	101:12 138:14	115:12 118:5,12	95:16 97:6,7
Swunk 139:17	talked 94:14	terminated	119:3,17 121:5	100:15 104:21
system 11:11	104:16 133:3	123:13	121:8,10 124:9	118:17 135:4
23:20 24:18	161:7	terminology	132:10,12	138:16,19
25:9,19 26:11	talking 76:4	138:11,13 139:7	137:7,8 139:11	139:8,9 141:22
27:11 43:8	78:24 107:11	terms 25:5	139:12 140:1	143:4,6 144:16
104:16 105:5	107:12 112:22	36:21 139:4	145:6 146:13	146:7 153:16
105:17,23,23	130:18 133:5	157:10	146:20 148:15	154:2,3,7,19
107:4,5,17	142:19,20	terrified 59:7	148:22 150:3	166:6
122:15,17 123:1	143:24	153:24	150:5,16,22	thinking 35:4
123:8 136:4,5	talks 34:3 142:5	terrifies 154:1	154:8,10,13	third 32:20
136:14 143:20	144:20	test 15:14 32:11	156:9,20	38:9 54:19
158:20	tall 39:9	33:6,19,21	158:6,13	99:20 131:13
systems 12:19	taller 39:3	38:16 137:24	160:17 161:20	157:7
24:24 43:7	Tamarack 120:6	160:1 161:12,17	161:22 163:1,3	Thomas 70:8
123:4 124:13	Tanouye 58:7,8	tested 31:18	166:17,18,23	74:11 137:8,14
161:4	59:22,22 61:11	59:17 161:14	167:1,6	thought 19:6
<hr/>	162:4,10 163:1	testimony	thankful 150:17	58:15 91:21
T	163:9	149:21	150:19	96:21 105:22
<hr/>		testing 10:7,8,11	theirs 85:14	109:15
T 168:3,21				

STERIGENICS FORMAL PUBLIC MEETING 8/1/2019

<p>threat 59:13 threatening 16:23 three 12:23 14:1 58:22 103:12 105:1 120:6,10 164:5 165:20 165:21,22 three-hour 147:5 thresholds 144:12,13 throwing 34:17 83:13 113:15 Thursday 1:10 ticket 51:8 Timberlake 155:4,5 time 3:8 4:7,21 5:14,24 6:9 16:18 18:2 21:18 35:11 36:16 39:21 50:2,19 52:13 59:2 63:11 66:9 68:14 71:23 72:6 78:23 79:5 108:7 109:3 110:6 111:2 117:10 119:14 129:12,23 130:8,11,12 132:18 140:7 144:18,19 145:6,16 150:9 151:15 153:8 162:20 166:2 166:5,20 168:7 timely 3:13 4:18 26:17 times 53:5 85:3 85:6 97:3 108:15 124:24 130:23 147:9 147:10 162:15</p>	<p>title 46:6 168:7 titled 23:8 46:1 tobacco 99:6 today 22:1 29:21 30:6 32:17 67:24 68:6 69:17 72:15,24 95:18 145:23 149:4,10 161:5 told 20:10 45:21 57:23 59:6 63:18 64:19 85:14 109:1 Tom 74:12 96:12 98:12 114:12 115:13 tonight 5:17 7:11 7:23 8:1 15:21 16:3,12,19 22:22 39:21 40:2 43:2 45:16 52:15 53:18 92:4 97:3 109:23 112:16 119:7,12 119:15 121:6 127:6,9,24 128:7,9 130:18 133:20,21 155:8,12,14 156:1,5,8,21 156:23 157:14 158:3,14 160:5 166:20,21,23 167:6 tonight's 2:4 17:21 52:20 Tony 87:13 90:4 90:7 tools 19:18 29:11 59:16 toothless 34:24 top 71:24 topic 16:6 52:16 topics 45:16 total 9:15,18</p>	<p>13:3,19 37:23 38:19 61:18 79:8,19 81:6 90:24 92:24 97:1 116:20 117:1,7,9 118:4 140:11 totally 21:22 tough 128:6 town 45:14 115:2,5 towns 49:22 76:10 toxic 43:22 44:15 98:1 123:14 124:7,11 138:17 toxicity 122:6 158:17 toxics 145:21 toxin 113:20 tracking 20:1 trade 100:13 trail 163:19 train 95:8 135:8 135:10 trains 95:3 traits 138:1 transaction 134:21 137:4 transcribe 17:10 transcribed 166:15 transcribing 16:14 transcript 65:6 65:10 168:9 transfer 63:23 transition 62:17 transparency 53:24 transparent 36:14 treat 16:11 73:2 73:3 89:17 treated 72:4 treats 133:9</p>	<p>tremendous 36:16 Trilla 36:2,4,5 40:9 53:19 102:20 158:9 troubling 30:15 truck 51:9 62:2 62:7 64:13 163:20,21 true 22:23 168:8 Truly 70:15 trust 80:22 152:3,4 153:7 153:15 157:14 trusted 50:14 76:2 106:4 trustee 49:10,15 51:14 87:17 90:10 Trustees 119:9 trusting 153:8 truth 110:2 111:22 truthful 106:24 truthfully 107:1 try 7:9 52:14 53:3,4 132:19 139:6,16 143:6 145:8 162:5 trying 19:6 34:23 45:1 93:6 114:3 116:22 144:23 151:14 tumor 21:20 151:4 157:18 tumors 153:22 turn 62:9 120:9 124:2 146:15 turned 101:23 164:9 turning 80:1 Twenty 132:11 twice 137:24 two 5:10 10:20 11:9 21:1 24:14</p>	<p>41:24 45:15 52:8 62:3 66:12 67:1 90:9 91:19 102:1 103:13 115:15 130:16 132:4 157:5 two-year-old 94:4 type 9:11 32:23 51:3 61:8 85:18 86:2 typical 95:1 163:14 typically 15:5</p> <hr/> <p style="text-align: center;">U</p> <hr/> <p>U-r-s-z-u-l-a 59:22 162:10 U.S 123:18 ultimately 22:17 unable 17:21 unacceptable 21:12 34:9,16 38:14 50:7 90:16 unanimous 78:5 90:14 unbelievable 48:5 uncertainty 135:20 unconcerning 62:5 underground 37:24 underlying 60:12 underpaid 76:4 underscore 53:18 understand 20:21 31:13 44:12 69:3 79:13 84:19 101:3 116:22 140:24 142:18</p>
---	--	--	--	---

STERIGENICS FORMAL PUBLIC MEETING 8/1/2019

143:21,23,24 144:1 147:14 151:12,14 understanding 91:10 117:11 undertook 37:1 unfathomable 50:18 unfortunately 19:8 137:22 138:5 unfounded 32:17 unhealthful 134:10 UNIDENTIFIED 48:23 61:1,3 65:12,22,23 79:21 80:9,16 81:15 84:10,14 84:15,21 94:16 95:22,23 96:2,3 98:5 100:11 108:2 108:10 111:11,13 111:21,23 112:1 112:3,10,13 113:23,24 114:15,17 115:14 115:21,24 116:12 125:6,11 125:14,18,22 125:23 126:2 126:7,9,10,17 128:2,10,14,15 128:24 129:2 129:4,6,8,16 129:20 132:11 139:14,18 150:7,18 153:1 158:12 unintended 38:4 54:18 62:18 Union 91:10 unit 1:18 6:22 23:10,18,19	United 43:14 University 98:17 unknown 33:12 unloaded 140:8 unnecessary 38:23 unproven 69:5 unreasonable 82:10 unreliable 26:2 Unreportable 65:3 66:18 130:7 unruly 16:22 unsupported 30:12 32:17 untested 25:19 26:2,11 untold 35:12 updated 63:24 upset 106:2 urge 35:19 40:1 Urszula 58:7 59:22 61:2 162:2 Urszula's 61:3 usage 11:20,21 122:22 use 18:10 24:20 26:23 27:24 31:22 43:11,12 78:23 88:6,24 94:14,18 100:12 101:6,6 122:5,11,23 123:12,13 131:15 138:11 138:13,14,14,21 139:7 143:11 148:3 161:10 useful 164:16 USEPA 14:24 43:3,4 44:1 48:6 81:18 101:2 137:1 138:11 143:8,19 USEPA's 12:5	15:13 100:23 101:6 139:2 uses 11:11 USFDA 43:3 utterly 29:21 30:11 <hr/> V <hr/> V-a-f-a 133:14 V-a-n-a 45:12 vacate 35:1 vacuum 63:17 163:21 164:22 Vafa 133:12,13 133:13,23 134:12,22 135:17 136:11 136:15 137:7 valid 60:13 validated 95:11 validity 165:19 value 100:13,13 100:14,23 101:7 144:17 155:2 values 120:14 148:7 154:22 Vana 45:10,11,11 45:12 46:11,17 46:19 47:8,14 variety 9:10 various 8:6,11 11:17 15:19 33:2 121:4 158:22 vast 74:4 veil 36:21 velocity 61:17 81:12 163:10 vent 63:19 159:17 ventilated 62:16 vents 63:17 verbal 3:7 17:20 17:24 verbatim 8:5 verdicts 120:18	verified 25:16 verifies 31:3 verify 15:15 111:10 veteran 57:21 veto 110:15 vice 155:3 victim 73:4 victims 73:3 Vietnam 57:21 village 36:6,15 37:16 39:5,12 49:15,18 51:22 58:20,21 63:23 82:24 87:16,17,19 90:10,11 104:21 119:7,9 135:13,15 Village's 49:16 villages 49:22 123:15 Vince 145:11 148:15,17,19 violating 73:19 violation 64:6 visually 165:6 VOC 61:13 62:1 VOC-emitting 62:10 VOCs 98:4 voice 17:5 voices 22:21 volume 136:8,9 vote 155:12,19 voting 155:8 <hr/> W <hr/> Wagner 157:8 Wahab 129:21 wait 65:11 84:1 128:4,4 waited 144:7 walk 15:19 138:5 walking 80:3 163:15 walks 163:17,18	wall 164:11 want 4:12 7:10 15:20,21 22:14 23:1 26:19 28:8 31:20,24 34:21 44:11 47:1 52:10 53:6 59:3,14 62:14 64:16 64:24 65:9 66:1,2,6,6 67:16 74:5 87:2 91:3,7,8 91:24 93:13 99:10 104:5 108:6 111:5,16 114:2,18 118:22 119:9 120:13 124:18 127:2 132:14,15 141:6 144:19 145:12 146:4,8,15 150:8,16 151:10 153:14 153:24 154:2 156:5,10,20 157:24 158:5 161:23 162:21 165:14 wanted 6:6 15:20 53:7 135:2 146:14 wants 125:8 166:16 warrant 5:15 wash 85:15 washed 85:18 wasn't 106:19 166:15 wasting 130:12 watch 146:5 watched 56:3,4 58:1 watching 57:2 157:11 water 81:23 121:19,20
---	---	--	---	--

STERIGENICS FORMAL PUBLIC MEETING 8/1/2019

147:11 149:8,9 way 2:12 30:6 43:13 44:24 53:3 70:11,18 76:22 102:8 105:15 126:24 133:17 134:14 135:2 145:4 146:19 160:10 ways 91:12 we'll 18:17 26:12 52:8,11 95:17 127:14 132:20 162:24 we're 7:7,22,23 8:17 15:17,17 29:3 46:20 52:14 60:12 70:2,15 71:17 77:7 91:8,8 93:6 100:20 100:20,22 105:14 112:22 126:19 127:5 128:5 130:18 134:2 138:20 139:3 143:4,19 143:24 144:20 144:23 149:5 149:8,10 153:20 154:8 155:2,10 162:19,20,22 we've 13:24 15:2 20:23 40:2 70:3 85:13 96:19 110:6 112:11 127:4 129:24 143:18 145:14 weak 88:13 wear 157:19,24 158:5 wearing 74:19 157:19 161:15 Web 48:14 week 21:8,17	82:8 104:7 weeks 45:18 102:5 welcome 2:5 59:15 well-being 76:24 went 56:24 104:13 115:14 144:8 166:14 Western 21:13 21:19 119:8 whatsoever 51:5 WHEREOF 168:15 whistle 87:1 Whoa 16:2 widely 161:11 widow 55:24 86:23 wife 55:23 86:22 120:5 willing 145:24 willingness 35:13 Willowbrook 1:8 2:16,18 8:14 12:15,21 19:3 24:22 25:12 26:22 34:8 36:6,15 39:14 39:14,17 40:4 40:15 42:18 44:8 47:5 55:6 63:23 74:19 75:8,9 75:23 83:1 102:13 104:21 108:23 113:11 120:12,15 121:1 123:15,22 135:14,16 138:18 149:14 149:19 154:24 160:19 window 79:23	80:4,11 93:9 windows 79:19 80:3,8 164:12 witness 137:23 168:15 witnesses 46:23 woman 59:8 women 103:12 won 155:10 wondering 96:21 135:8 138:7 word 34:7 138:4 138:8,12,22 words 61:6 work 25:2,17 26:12 28:15 31:12 32:9,10 34:10 35:21 44:13 74:18 98:4 102:14 105:18,19,22 110:23 116:10 124:16 135:9,11 135:21 144:10 worked 28:17 36:20 161:1 working 13:15 19:22,23 20:13 24:23 25:13 69:14 104:6 106:7 121:7 123:15 154:13 159:9 works 26:13 27:6 67:4 126:23 worries 49:2 worry 48:8 worse 56:13 59:7 104:11 wouldn't 61:24 136:23 165:1 Wow 166:18 wrenching 166:22	write 131:18 writing 15:21 17:23 43:19 53:10 60:16 63:10 119:14 127:10 131:8 132:15 135:18 146:17 156:13 166:8,12 written 4:19 7:24 8:18 17:1 17:23 18:3 39:23 wrong 26:5 35:5 110:1 144:12,13 wrongdoing 51:19,19 wrote 158:17 159:22 <hr/> X <hr/> XI 73:8 <hr/> Y <hr/> Y-v-o-n-n-e 91:18 yeah 79:21 80:7 134:23 135:5 year 10:12 13:11 14:19 26:15 39:4 59:4 72:24 74:21 82:9,11 90:20 90:24 101:23 115:11 121:15 135:24 149:5 151:15,17,21,22 152:20 years 41:1 43:1 44:13 56:7 57:23 58:21 72:8,23 77:12 85:6 87:19,21 101:24 105:1 118:21 137:22 144:3 145:20	148:24 149:18 154:21 158:16 158:21 159:12 160:23 161:1 years' 159:15 yes-or-no 60:18 yield 119:14 yielded 108:8 Yon 121:11 125:4 young 121:7 Yvonne 90:4 91:16,18 115:20,21,23 <hr/> Z <hr/> Z-u-p-a-n-c-i-c 119:20 ZIP 22:18 zone 19:4 58:14 113:12 114:2 Zoning 49:15 Zupancic 119:5 119:19,20 120:2 <hr/> 0 <hr/> 0.007 159:2 0.2 10:3 13:7 007 81:23 08 154:15 <hr/> 1 <hr/> 11:10 15:1,4 72:24 77:8,22 78:14 81:24 100:14 109:13 110:11 112:17,18 137:3 139:2,3 1(b) 13:2 1(b)(iii)(c) 11:15 1,200 85:20 1.7 87:20 1.8 94:3 10 13:22 10(b) 12:7 10,000 15:1 137:3 139:2
--	--	--	---	--

